

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AUDIOTAPED BOARD OF COUNTY COMMISSIONERS
OF GARFIELD COUNTY
SPECIAL MEETING

SAGE GROUSE - COORDINATING MEETING
108 8th Street, Room 100
Glenwood Springs, Colorado

April 4, 2013

Re: BLM SAGE GROUSE MEETING

1 APPEARANCES:

2 Commissioner John Martin, Chairman

3 Commissioner Tom Jankovsky

4 Commissioner Mike Samson

5 Commissioner Frank Hutfless

6

7 Fred Jarman, Director of Planning Community

8 Development

9 Brad Petch, Colorado Parks and Wildlife

10 Kathy Griffin, Colorado Parks and Wildlife

11 Perry Will, Colorado Parks and Wildlife

12 Jim Cagney, Bureau of Land Management

13 Eric Petterson, Rocky Mountain Ecological Services

14 David Boyd, Public Affairs Specialist

15 Patty Gelatt, American Stewards of Liberty

16 Margaret Byfield, American Stewards of Liberty

17 Dr. Rob Ramey, Wildlife Science International

18 Zack Perdue, Pendo Solutions

19 Commissioner John Hill, Rio Blanco

20

21

22

23

24

25

1 (Audio starts at 6 minutes, 11 seconds.)

2 (Already in progress.)

3 COMMISSIONER JANKOVSKY: -- it didn't have
4 any regulatory assurance. It was voluntary. There
5 were concerns from the BLM on that part. We also
6 had a meeting right after our August meetings with
7 Parks and Wildlife.

8 And Parks and Wildlife helped us get a
9 better understanding of the mapping, how the mapping
10 was done, also the work they're doing on the field
11 in the PPR area.

12 One thing that came out of that meeting was
13 from Kathy was we heard you say that your map was
14 from a 50,000-foot level and that drew some
15 concerns. It had some concerns for us because we
16 feel once this map gets in place, it will be maybe a
17 little bit more rigid than the 50,000-foot level.

18 So with that I want to turn it over to --
19 and from there we've been a while. We've been since
20 August without a meeting. That's because we've been
21 doing a lot of work ourselves.

22 We've been looking at mapping, looking at
23 the PPR plan, how can we improve that.

24 And with that, I'll turn it over to Fred
25 Jarman and let him lead us here through the

1 discussion.

2 CHAIRMAN MARTIN: Did everybody get one of
3 these? It's a handout and I'm hoping that we had
4 enough copies. If you didn't get one, please let us
5 know and we'll get one to you. Thank you. Fred.

6 MR. JARMAN: Okay, thank you, Chairman and
7 thank you, Commissioners.

8 And as we start out, I really do, on
9 behalf of the County, want to thank all of you for
10 coming. This is pure coordination. This is getting
11 together and working through these issues, which
12 we're eager to do. And we hope you're of the same
13 mindset.

14 So what you see on the screen here is a
15 breakout really of what we want to talk about in the
16 plan itself. So under Bullet 5 on the agenda, what
17 you should have, so it's a background.

18 We're going to work through the
19 implementation of this plan through coordination.
20 We're going to walk through the mapping methodology
21 with our team who's here.

22 Then back to the principles and policies
23 in our plan, and then ultimately have a
24 presentation on more of the science that goes into
25 the basis for our planning. So we're eager to share

1 this with you.

2 As you all have had it already, we sent
3 this, I guess -- right when it came out, we sent
4 this to all the agencies. So we hope you've had a
5 chance to look through it.

6 So as you understand and we stated in the
7 plan, we consider this really a refinement of the
8 PPR plan that CPW was tasked with completing which
9 they did in 2008. There were a wide variety of
10 stakeholders, perhaps 50 to 60 plus in that group.

11 And from 2008 to now, we believe that
12 we've made a refinement of all of that, particularly
13 in terms of mapping and the policy.

14 As you, of course, know, we are also
15 working as a cooperating agency in that status with
16 the BLM. And Tom already talked about that. But of
17 that discussion, there are two key pieces, the NTT
18 report and the CPW mapping which are both public
19 documents which we're going to talk in great detail
20 about today.

21 We also believe that our plan really does
22 incorporate the best available science at this
23 point. And I don't need to underscore that really
24 anymore, but that is a common theme we hope that
25 you'll see through this.

1 And one of the significant tenets of this
2 is that it contains both public and private land
3 management policies again that we believe are based
4 on best available science, and then implemented
5 through Coordination.

6 And this is Coordination with a capital C,
7 not a small c. This is a specific term that is
8 embedded within NEPA, and so that's why we're all
9 here today. This is federal law at play.

10 So purpose and need of the plan, Tom
11 covered this pretty well. I'm going to skip that
12 first bullet point.

13 But the pictures really illustrate what he
14 said, and that is the fact that we believe in
15 Garfield County we have a very, very unique and
16 different landscape than the rest of the national
17 range or at least primarily the national range. And
18 those photos sort of illustrate this.

19 We have a lot more about this later in the
20 presentation, but ultimately the purpose of the plan
21 is to provide private and public landowners with
22 land management principles, policies, incentives and
23 BMPs based on the best available science that are
24 tailored to fit -- and that's the key piece of this
25 -- tailored to fit Garfield County's unique

1 landscape and habitat characteristics for the
2 betterment of the species.

3 And I want to also underscore those last
4 four words, betterment of the species. That is
5 still the goal of what we are all really trying to
6 attempt to do here.

7 Of note you'll recognize -- some of you,
8 particularly CPW folks, Kathy and Brad -- will note
9 the map on the left on this screen is the habitat
10 map that was used within the PPR plan. And that was
11 completed in 2008.

12 And then we have what we're considering
13 the CPW red map now or the priority and general
14 habitat maps. And we did have a meeting with Kathy
15 and Brad, CPW, here in the fall, I think it was
16 September 5th, where we talked about this issue.

17 And it became very concerning to the Board
18 of County Commissioners that there was such a large
19 leap made from the map on the left -- so the black
20 speckles show you what the habitat is there -- to
21 the red map which is the priority. So it
22 encompasses the entire lower Piceance area.

23 And so we were very concerned about that.
24 And as Commissioner Jankovsky stated, that is why
25 primarily we have spent so much time since that

1 meeting really trying to better understand what the
2 science is behind that jump.

3 And so if you'll keep that as a major
4 theme for today, we are very eager to talk to
5 everybody about that and get some insight from you
6 again as to where we go -- or where you have gone.

7 So in light of that, we took a flight, a
8 helicopter flight, to really get up on the upper
9 deck or the Roan Plateau. And what this map is
10 showing -- and I apologize, the screen is yellow
11 here, I don't know what the issue is, but it is what
12 it is.

13 But here is Rifle to get you oriented,
14 here is the I-70 corridor as it drops into Mesa
15 County, and here is Parachute.

16 So we left Rifle and then flew along this
17 black line which is the flight path. This is the
18 exact GPS location of the flight path.

19 So up onto the upper deck here across
20 preliminary priority habitat up into Rio Blanco
21 County, which is this area here, then back down, and
22 then back into general habitat and took a left-hand
23 turn here and then came back down into Rifle.

24 So we really wanted to get up in the air
25 and fly it very closely to see, okay, how can we get

1 a better understanding. That's our closest, given
2 the snow, and what have you.

3 So from that, these were pictures taken
4 from that flight. And I think pictures are worth a
5 thousand words here. It gives you a very good sense
6 of what we saw, which is critical to reinforcing
7 what we believe is a very, very different landscape
8 in Garfield County as compared to Wyoming, by way of
9 example.

10 So the shot to the lower right, to be
11 clear, is not up on the Piceance. That's Pinedale,
12 Wyoming region. That's actually a photo from the
13 BLM.

14 But the photo in the upper left is
15 priority habitat as mapped in the red map by CPW.
16 So it gives you a sense of the difference.

17 So seeing this all from the air, we became
18 even more concerned. And we decided to launch
19 deeply into mapping with some fairly sophisticated
20 modeling and of the same area. We decided to use
21 the same plan area in the plan as the CPW outlined
22 within their map, and that's that red area there.

23 And the punch line of all of this, which
24 we'll get to, but wanted to give you a little bit up
25 front, you'll see the PPR map on the lower left.

1 And then after our modeling efforts, we have what is
2 up on the upper right.

3 And our team will get into great detail on
4 how we arrived at what that suitable habitat is.
5 That's the red in the upper right. So we believe
6 there's a major difference from 220 (sic) acres of
7 habitat down to about 15 -- anywhere from 15,000 to
8 28,000, but you get the sense here it's somewhere
9 between 7 and 13 percent of the entire 220,000
10 acres. So it's a remarkable difference.

11 So from that we decided to readjust and
12 implement, craft our plan and then choose a way to
13 implement that plan. So I'm going to turn it over
14 to Margaret here and have her walk you through
15 implementation.

16 MS. BYFIELD: Okay, one of the first
17 problems that we really identified is that there's a
18 lot of different pieces to the pie as it goes
19 towards managing the Sage Grouse. You have
20 different agencies that have different elements of
21 the management of the species.

22 So BLM has habitat management on the
23 federal lands. Of course, Colorado Parks and
24 Wildlife has species management. And then Fish and
25 Wildlife Service has to look at whether or not it

1 needs to put in a layer of federal management and
2 take over control of the species at the federal
3 level if it listed it as endangered.

4 So there's a lot of different hands in the
5 pie. And one of the things that we really wanted to
6 solve and in looking at all the approaches is the
7 approaches have been from a real broad-brush
8 approach.

9 In other words, Colorado is looking at it
10 from the Colorado perspective; BLM is looking at it
11 from the national perspective with the NTT report
12 direction; Fish and Wildlife Service, of course, at
13 the national level, as well.

14 And we wanted to bring it back to how the
15 Sage Grouse is managed in Garfield County comes from
16 a local perspective that takes into account the
17 local needs, the local landscapes, so that whatever
18 conservation measures are put in here are actually
19 going to work here and not harm the species. So
20 that's why we decided that the implementing element
21 of the plan was going to be through Coordination.

22 Because all of the agencies have a federal
23 directive to coordinate with the local governments
24 so -- particularly, specifically, and I'll just walk
25 through this, the Bureau of Land Management through

1 FLPMA primarily is required to keep apprised of the
2 plan, give consideration to the plan, meaningfully
3 involve the County in its planning activities, work
4 to resolve conflicts with the plan, and make its
5 plan and policies consistent with the local plan.

6 Fish and Wildlife Service has the
7 obligation under the Endangered Species Act to
8 consider all local efforts that are being made prior
9 to making a determination. So everything that
10 Garfield County is doing here is something that you
11 need to be aware of as well so that that can be
12 taken into account in the determination process.

13 And the state agencies, since Garfield
14 County has the land use authority, the coordination
15 with the state agencies is a natural fit to work
16 through a lot of these issues as well.

17 So we see the Garfield County plan serving
18 as the central plan that then is a basis for all the
19 other plans that are developed, conservation
20 measures that are developed. Everything else that's
21 developed from it look back to the Garfield plan as
22 really the comprehensive plan to be consistent with,
23 of course to give consideration to.

24 And if there is conflict between the
25 policies, we have, you know, a written document now

1 that we can start working through those conflicts to
2 resolve those conflicts.

3 So a lot of the purpose of this meeting
4 and kind of going through this plan for you guys is
5 that one of the key things about the plan as to how
6 it's going to be implemented is we're looking at
7 doing an annual review each year with all of the
8 agencies.

9 And we kind of see this meeting as our
10 first meeting of that nature where we can take a
11 look at and go through the impacts to the species
12 here locally, what the habitat looks like, reassess
13 if the conservation measures are working or are
14 effective and being put in place, also take into
15 account any new science.

16 It's an adaptive management plan, and
17 that's critical to the implementation of it. And
18 one of the great things about the County is that the
19 County can move very quickly.

20 If a change needs to be made, it can make
21 that change very quickly by really agreement of the
22 Board and through resolution. And so if something
23 major needs to change, it can be done quickly on the
24 ground here in Garfield County.

25 And so going through the review process

1 looking at changing, if necessary, changing
2 conservation measures in the plan based on the
3 science and based on what we're learning from you
4 and also from the private landowners.

5 And then, you know, if changes are being
6 made, prepare a draft and get that out to all of you
7 to take a look at and consider and feedback comments
8 to the County. And then update those policies and
9 conservation measures as warranted.

10 The same kind of process is really what
11 the County plans do also with private landowners.
12 We really want private landowners engaged in this
13 process. They own most of the Sage Grouse habitat
14 and are just critical to the whole process.

15 And so the plan serves for the private
16 landowners to really support what they're already
17 doing and encourage and help them to put in the
18 conservation measures what we're seeing, after
19 looking at the science and everything, we find is to
20 be the best approach.

21 So that's kind of a summary of how we see
22 this coming together. An annual review with all of
23 the agencies, a science review can be done at any
24 time, and continual coordination.

25 In other words, it's not just one annual

1 review meeting but it's continual coordination with
2 the agencies so that the County is always apprised
3 of what is happening with the species on the ground.

4 So to kind of summarize really what we're
5 talking about, the plan is to inform all the
6 agencies -- and what we're really trying to do today
7 -- to inform all the agencies of the content of the
8 Garfield County Sage Grouse plan and answer the
9 questions that you may have, concerns you may have.

10 Begin the process of implementing this
11 plan, we see this as really the first step. And
12 hopefully today you guys can start pointing out any
13 concerns you have, any conflicts you have with the
14 policies, and we can start working through the
15 resolution of those.

16 And we also need to obtain an answer as to
17 whether the Garfield County plan will be included as
18 an alternative in the BLM EIS, which has been
19 requested.

20 And then discuss the key concerns we have
21 with the science that's being relied on through both
22 the NTT report and also the candidate determination
23 notice published by the Fish and Wildlife Service in
24 2010.

25 MR. JARMAN: Okay, thanks, Margaret.

1 So where we're going to head now is, I'm
2 going to have Zack Perdue from Pendo Solutions and
3 Eric Petterson from Rocky Mountain Ecological
4 Services come up and spend some time walking through
5 the methodology behind the mapping and some of the
6 science related to that, which is really the -- it's
7 one of the main foundations of our plan.

8 And so I'm going to turn it over to Zack
9 here and let him drive as he would like.

10 MR. PERDUE: All right, so Eric and I were
11 hired by Garfield County to perform an (inaudible)
12 assessment of the suitability of potential Greater
13 Sage Grouse habitat on the PPR.

14 So to do this, we decided to employ two
15 different methods of what's called a multi-criteria
16 overlay analyses, which included weighted overlay as
17 well as fuzzy overlay modeling.

18 Real briefly, a weighted overlay model is
19 something a lot of you are probably very familiar
20 with. They are commonly known as habitat
21 suitability indices. And they basically function by
22 scaling, weighting and then compositing diverse
23 spatial data sets to measure or gauge the level of
24 suitability at a particular location.

25 Likewise, a fuzzy overlay model applies

1 something that's called fuzzy logic to spatial data
2 to measure the suitability of an area. Fuzzy logic
3 is something that's based on set theory and it
4 provides a more flexible method for combining the
5 criteria data sets, and it provides a method also
6 for handling vagueness and imprecision in spatial
7 data.

8 So before we started the model
9 development, the first step was to develop all the
10 criteria that we were going to let influence the
11 selection of suitable habitat.

12 So Eric and I both performed a very
13 extensive literature review of all the available
14 published and peer-reviewed studies that are out
15 there right now that begin to describe habitat
16 characteristics of the Greater Sage Grouse.

17 A number of these were national studies.
18 Some of them occurred in Washington, Idaho, Nevada.
19 But we tiered heavily towards the three studies that
20 you see listed as items 1, 2 and 3 under the heading
21 No. 3 there, which were Walker's paper, Apa's paper
22 and Heather Sauls' paper.

23 Those were all relatively contemporary
24 studies that had been performed, and they were also
25 studies that were performed specific to the PPR

1 region. So it had a lot of really good information
2 that described the specific characteristics of the
3 PPR population.

4 So while we had an extensive list of
5 criteria to choose from, some of the information was
6 decades old, some of it was contradictory. And so
7 we tried to devise a method to kind of boil down the
8 most common criteria that would help us measure
9 general habitat, not looking at seasonal habitats.

10 So we wanted to capture where these birds
11 were in the summer, in the fall, in the spring, and
12 so on and so forth.

13 So from that, what we determined were that
14 the four major contributing criteria are listed
15 underneath No. 4 here, we determined slope, ranges,
16 canopy cover, vegetation types and distances to
17 forested areas as dominant criteria to feed in as
18 model inputs.

19 So real briefly, the data that we employed
20 in the models, the slope was derived from 10-meter
21 USGS net data. The canopy cover was acquired
22 directly from the Landfire data distribution site.
23 And then, of course, we had a variety of publicly
24 available vegetation data sets to look at and
25 possibly employ in the modeling.

1 We ultimately looked at four, again listed
2 under heading No. 3 here. The first two, Remap
3 (phonetic) and NLCD, we felt didn't break down the
4 vegetation classification intricately enough.

5 They seemed to be very broad
6 classifications. In fact, most of the shrubling
7 communities in there were simply typed as a
8 sagebrush community irrespective of the presence of
9 serviceberries, snowberries, so on and so forth.

10 So after kind of putting those to the
11 side, we looked at the CVCP and the Landfire data.
12 Both of these data sets were far more accurate in
13 defining the intricate nature of the veg communities
14 up there on the PPR study area.

15 And what we wanted to do initially was to
16 use the CVCP data because it seems to be the data
17 that's been most heavily employed in the models that
18 have been performed to date.

19 However, when we performed an assessment
20 of the data as compared to Landfire, we felt that
21 the delineations present in the Landfire data as
22 they pertained to sage communities as well as
23 forested areas had increased accuracy as compared to
24 the CVCP.

25 So ultimately we chose the Landfire data

1 as the primary publicly available vegetation data
2 source to employ in the models.

3 So at this point we had reviewed multiple
4 data sets and developed the criteria list. And from
5 that, we had established that, you know, through
6 observation we had noticed numerous issues with the
7 accuracy of the geometry and attribute typing of the
8 vegetation data. And it's also been observed and
9 noted in other relevant studies.

10 Another issue with the employment of the
11 CVCP data set was that it appears there's a
12 discrepancy between the data sets that were
13 employed. And the only thing I can assume is that a
14 previous CVCP data set was employed in the Walker,
15 Sauls models, and so on and so forth, and that's
16 subsequently been updated.

17 That conclusion is made simply by
18 comparing the cover types that are reported in those
19 reports as compared to what we have in our data
20 within the study area. And there's a very broad
21 discrepancy between the description of the cover
22 types.

23 Lastly, both the CVCP and the Landfire
24 data are relatively coarse data sets. CVCP is
25 25-meter resolution. Landfire is 30-meter

1 resolution data.

2 So with all this in mind, Garfield County
3 wanted to ensure that they had the most accurate
4 vegetation data set to work with, to not only model
5 with but also to employ in future exercises to
6 develop conservation measures within the PPR.

7 So to do that, we started a separate
8 process whereby we performed supervised image
9 classification process on color-infrared NAIP
10 photography that was acquired in 2011. We performed
11 this classification at a 2-meter resolution with the
12 intent of identifying the major vegetation
13 communities as they applied to the suitability of
14 the Greater Sage Grouse habitat.

15 So with that in mind, we made three big
16 pushes in this exercise which were to accurately
17 identify and delineate sagebrush and mixed mountain
18 shrub communities.

19 We also wanted to identify the areas of
20 encroachment from the woody shrublands and attempt
21 to quantify that to the extent possible in those
22 transition zones.

23 And, lastly, we wanted to accurately
24 delineate the forested zones given the fact that
25 it's indicated that it's a relatively dominant

1 criteria, influential criteria by Walker's model.

2 And so we wanted to ensure that given the
3 fragmentation of the habitat up there, and the
4 linear nature that these communities exist in that
5 the delineation of the forested canopy was accurate
6 so
7 as not to unduly constrain or pull back from
8 accurate results.

9 So at this moment -- I'm sorry, we're
10 missing a table here. This should have a table of
11 the vegetation summary on it.

12 But at this moment we are actually
13 reviewing -- we're performing a manual review of the
14 data results against high resolution 30-centimeter
15 photography as well as limited available transect
16 data that we have within the study area.

17 We're also employing species prediction
18 based on other baseline data sets including soils,
19 aspects, elevation. And then in the spring we're
20 going to perform additional transects and field
21 observations to try to tighten up and validate the
22 accuracy of the data.

23 The field efforts will largely concentrate
24 on looking at what we have mapped as mixed mountain
25 shrubland communities and the marginal habitats that

1 exist on the perimeters of the sage and grassland
2 communities.

3 So with all that said, we had our criteria
4 developed. We had compiled our data. We had even
5 created new vegetation data set to employ in the
6 modeling. And so we started the modeling process.

7 And at this point we've actually produced
8 numerous models and have the intent of completing
9 additional models in the future.

10 Ultimately, our goal is to continually
11 refine the parameters of the model and the criteria
12 that influence the model based on best available
13 science and expert opinion to try to really hone in
14 on what the suitability looks like on the PPR.

15 In the future we will be building more
16 robust, sophisticated models that incorporate
17 additional criteria to map and locate seasonal
18 habitat locations within the PPR.

19 But real briefly, the list that you see up
20 here on the slide, this simply illustrates the
21 models that have been completed to date, the
22 sequence in which they were performed, the
23 vegetation data source that was utilized in the
24 model as well as the model method. And to the
25 right, there's just a brief reason for why the model

1 was performed.

2 So moving through that real briefly,
3 models 1 and 2 employed the Landfire vegetation data
4 set. They were both products of a habitat
5 suitability index model.

6 The first one was run very early on, and
7 that was simply to establish a baseline for the
8 model results using a very generic set of criteria.

9 Again, No. 2 kind of built on the same
10 parameters of Model 1, but we did change some of the
11 criteria, specifically as it pertained to canopy
12 cover and slope. And that was based on some
13 information that we saw in the Apa paper from 2010.

14 Models 3 and 4 were performed on the exact
15 same criteria and framework that Model 2 was. The
16 only change in the model was the substitution of the
17 vegetation data sets.

18 And then, lastly, No. 5 was a model that
19 employed the fuzzy overlay process. We used the
20 Remap vegetation in that, and that was performed
21 because it's a different modeling technique, we
22 would expect different results.

23 And it has particular significance to this
24 habitat because of the vagueness and the imprecision
25 in the data and the fact that we know that this

1 population up here likes to get out to the perimeter
2 of these sage zones and move in marginally to some
3 of the woody shrublands that encroach on these
4 communities.

5 So before showing the results of the
6 models, real briefly the HSI model produced results
7 on a scale of zero to ten. The fuzzy overlay model
8 results were presented on a scale of zero to one.
9 On both of those indices, the higher values indicate
10 higher levels of suitability.

11 Real briefly, this is the criteria matrix
12 that was employed in the Model 1, in the HSI model.
13 I will let you guys just briefly look at that. As
14 you can see, it's fairly generic in its description
15 of canopy cover.

16 We allowed for a pretty conservative
17 estimate of slope ranges. And the distance to
18 forest and vegetation communities were established
19 almost directly from Walker's paper.

20 Models 2, 3 and 4, here is the criteria
21 that we employed in these models. As you can see,
22 the changes that we made were to tighten up slope
23 constraints based on information in Apa's paper as
24 well as Heather Sauls' model.

25 And we also better distinguished

1 differences in the canopy cover. And again this
2 came from specific information from the Apa paper.

3 And then No. 5, Model 5, was a fuzzy
4 overlay model. And a fuzzy overlay model doesn't
5 employ weights and rankings in a similar manner that
6 an HSI model does.

7 What it does is it assigns membership to
8 the data. And so real briefly, without getting into
9 a lot of technical explanation of this, the
10 membership functions that we used to assign to the
11 different criteria were we used a (inaudible) soil
12 membership function for slope whereby we
13 established that the 50 percent membership level was
14 at the 20 percent slope range and allowed higher
15 membership to assign to lower slope values.

16 Vegetation types and canopy cover were
17 largely employed almost in the same manner that they
18 were in the HSI models. The only difference was
19 that we performed nearest neighbor functions to
20 smooth transition zones between the vegetation
21 communities.

22 Distance to forest area was assigned a
23 linear membership function which basically increased
24 membership to that class as a function of distance
25 as you moved away from the forested areas.

1 And we did something similar with land
2 forms as well which it bears noting, I guess, that
3 that was one thing that we had changed with this
4 model was incorporating land form as a variable.
5 The previous models had utilized land form, but it
6 was utilized as a filter process. It was not
7 employed as a variable directly in the model.

8 But the land forms utilize topological
9 position indices values of zero to 75, again with a
10 linear membership function that assigns higher
11 membership to higher TPI values. At the point that
12 we exceeded 75, we assigned full membership which
13 basically indicated you are on the top of the ridge.

14 Real briefly, we have summarized the
15 results of each of the model iterations. To explain
16 the headings, as we move left to right, we have the
17 raw acres, filtered acres, private lands and BLM
18 lands. Each reports an acreage and a percentage.

19 Regarding the raw acres, those were the
20 native results of each model iteration unmodified.
21 So nothing was filtered or anything. That's the
22 direct return of the model.

23 To the right is the percent which is
24 expressed as an area of the broader study area,
25 which is approximately 221,000 acres.

1 To the right of that, we have filtered
2 acreages whereby -- as you can see in models 1
3 through 4, we performed some filtering that was
4 relatively arbitrary.

5 But the attempt was to eliminate some of
6 the smaller disconnected habitat patches that were
7 being returned in the model. As well as, as I just
8 said, the land form data was employed in models 1
9 through 4 as a filter technique to remove drainage
10 areas and swales as suitable habitat zones.

11 Moving further to the right, we report the
12 filtered result acreages as they pertain to private
13 lands and BLM lands. And the percentage to the
14 right of those are a percentage of the mapped
15 suitable habitat for that model result. So we'll
16 let you look at those for a moment.

17 So real briefly, we will cycle through
18 some maps of Model 1 results. After that, we have
19 Model 4. And then we also have Model 5, which is
20 the fuzzy model results.

21 Yeah, Model 4 is the model that is being
22 represented in the Garfield County plan at this
23 time.

24 So ultimately we went through and we
25 performed these different modeling exercises. And

1 we ultimately had five different results that were
2 showing the habitat as occurring -- or representing
3 anywhere from 7 to 13 percent of the project area
4 based on the models that have performed to date.

5 Ultimately what we wanted to do was
6 perform a comparison of these model results with the
7 result of Walker's study, Rice's study, as well as
8 Heather Sauls' model. Unfortunately, we didn't have
9 any spatial data to perform any kind of correlation
10 and quantify any kind of differences or correlation.

11 However, as you can see on the maps here,
12 this is similar to what Fred had up there earlier,
13 on the left we're representing the results of the
14 fine scale habitat mapping that was included in the
15 2008 PPR plan. And to the right is one of the model
16 results, and I believe that one is the fuzzy model
17 results.

18 And as you just visually compare those,
19 looking back and forth, you can see that there's a
20 high degree of correlation occurring in where these
21 areas are being mapped. And we also have this
22 occurrence with Walker's results as well.

23 His results are a little bit more coarse
24 than what you see on the left-hand side.

25 Nevertheless, there's still a high degree of

1 correlation between the results, or visually it
2 appears that there's a high degree of correlation.

3 We then sought to compare the results to
4 the Rice model results, as our understanding was
5 that was the data set that was primarily used to
6 drive the development of the PPH and PGH data sets.

7 Again we didn't have any data available to
8 perform any kind of a direct comparison, so we had
9 to perform a manual observation and review of the
10 data. And this was further hindered with her data
11 because the only images that we had were very small
12 images on the page that were pretty coarse
13 resolution, so it was difficult to see detail and
14 the results.

15 However, with that being said, based on
16 what we were able to see, our observations would
17 suggest that there was a marginal correlation
18 between our results and the results of her breeding
19 season model. But those results were further
20 reduced in terms of correlation when compared to the
21 results of her summer habitat modeling.

22 Ultimately we felt that the Rice model
23 results appeared pretty coarse and overstated by
24 comparison not only to our model results but some of
25 the other model results performed by CPW and BLM.

1 Now the difference in the contrast in
2 those results are likely fairly easily explained,
3 and that's likely because of the resolution of the
4 data that was employed in the model. Her model used
5 a 1-kilometer cell resolution (inaudible) data which
6 would begin to explain the coarseness in the
7 results.

8 But in addition, she also used different
9 modeling criteria than what we used and what Walker
10 used and Heather Sauls used. Her model seemed to
11 employ different variables that described percent
12 proportion of different vegetation communities, and
13 they were resampled at a 1-kilometer cell resolution
14 and aggregated against the CVCP data.

15 So with that review and those modeling
16 exercises in place, Garfield County basically said,
17 okay, so what's your assessment of the accuracy of
18 the PPH and the PGH data set, and can you follow the
19 methods that have been employed to reproduce it?

20 And so we started by looking at the data
21 citation for the data set obtained from CPW's
22 website. And the data citation basically lists
23 three sources as being used to develop the PPH and
24 PGH data set.

25 The first was the results of the Rice

1 model, which is quoted there to the right.

2 Secondly, it indicates that production areas were
3 utilized, and they are defined as 4-mile buffers
4 around leks which have been active within the last
5 ten years.

6 And then, lastly, it would appear that the
7 broader perimeter is defined by a data layer that is
8 maintained by CPW called occupied range.

9 And in the citation it states that
10 occupied range is defined as areas of suitable
11 habitat known to be used by Sage Grouse within the
12 last ten years from the date of mapping.

13 Areas of suitable habitat contiguous with
14 areas of known use which do not have effective
15 barriers to Sage Grouse movement from known use
16 areas are mapped as occupied habitat unless specific
17 information exists that document the lack of Sage
18 Grouse use.

19 After reading the citation and looking at
20 the data that we had available, we were not able to
21 reproduce the results of the PPH and PGH
22 delineations. And so following are a few slides
23 that indicate some of our observations of the data
24 set.

25 First and foremost, we looked at the

1 priority habitat delineations. Those were primarily
2 driven by the location of the production zones which
3 are established by active lek locations.

4 What we noticed was that we had, based on
5 the available lek data that we currently have, we
6 noticed a spatial discrepancy in the perimeter of
7 those 4-mile buffer areas in the data.

8 In addition, we noticed that there were
9 exemptions that were allowed within the 4-mile
10 buffer priority areas that we didn't have a reason
11 for explaining the exemptions.

12 And, lastly, we also observed that there
13 were spatial discrepancies between the priority
14 habitat delineations and the PPH and PGH data set as
15 compared to the Greater Sage Grouse production area
16 data set that is maintained by CPW.

17 The second observation that we made was
18 that the PPH, PGH data set includes very expansive
19 areas that don't appear to meet the definition of
20 occupied range as it's reported in the data
21 citation.

22 So, as you can see, above we've got a
23 representation of the PPH and PGH areas. A
24 precondition of meeting the occupied range, as it
25 was stated in the definition, was that it must be

1 suitable habitat.

2 As we've mapped and as Walker and Sauls
3 have mapped in their report, there are enormous
4 expansive areas in here that are not returned as
5 suitable habitat under a variety of models that have
6 been run. However, the PGH and the PPH areas have
7 captured these interstitial areas and delineated
8 them as PPH and PGH habitat.

9 And by and large, these areas are --
10 particularly through the middle of the unit, there's
11 a pretty continuous patch of forested vegetation
12 with woody shrublands which has been observed in
13 multiple data sets, observed in the field, and so on
14 and so forth.

15 And then, lastly, an observation that we
16 made, again this was -- you know, the ability to
17 truly assess this was hindered by the image that we
18 had available of Rice's report.

19 But we did notice that there was a
20 discrepancy in the delineation of the area that she
21 had shown as Greater Sage Grouse estimated range as
22 compared to the delineation of the PPH and PGH data
23 set occurring in the southeast area of the study
24 area kind of shown in the circles there.

25 And my apologies, it is difficult to see

1 it on the left-hand side, but the area that we're
2 representing is shown better here on the right.

3 And I'm going to turn that back over to
4 Fred. Thank you.

5 MR. JARMAN: Okay, thanks, Zack. This is
6 the slide here. And the image to the left is
7 directly out of Mindy Rice's, Dr. Mindy Rice's
8 paper. I want to make sure everybody understood
9 that.

10 And so if you drill down into this, that's
11 where you get to those 1-kilometer grid cells versus
12 the further refined, much more refined analysis that
13 we have performed.

14 So with all that being said, ultimately to
15 draw some conclusions from where we are with the
16 mapping, we have in our opinion the best
17 reproducible scientific data consistent with the
18 results of the two previous CPW studies and the BLM
19 study.

20 And that's probably one of the most key
21 issues is the fact that it is reproducible, whereas
22 the others we have not been able to do that.

23 Secondly, we believe that the BLM EIS is
24 relying on a map supplied by CPW that is flawed in
25 its modeling. It contains large areas of

1 non-habitat and is not reproducible.

2 The third bullet here is critical in the
3 sense that under federal law, any EIS can only
4 contain information that is publicly available for
5 review.

6 So, by way of example, if the red map is
7 to be included in the draft EIS or whatever EIS that
8 does come out, any data that -- I should say all of
9 the data that's required to reproduce that map needs
10 to also be in the EIS. And right now, we believe
11 that's an enormous flaw and enormous hole in the
12 process that we've had to date.

13 And then, No. 4, we have asked Parks and
14 Wildlife for this data on numerous occasions and
15 then followed up even with a formal CORA request and
16 have been denied for that information. So CORA is
17 Colorado Open Records Act.

18 So we have tried to pursue that
19 information, and we've simply been refused.

20 So with that, we're going to jump into the
21 plans and principles. And we wanted -- this is by
22 design -- we wanted to make sure you understood all
23 of the science behind the mapping which is critical.

24 Because our whole approach is to say we
25 want to have very good sound conservation policies,

1 but they need to be based off of what we think is
2 the best available science. And so we're going to
3 work through that, which is why we went through the
4 mapping exercise first.

5 And as we do this, Margaret and I are
6 probably going to tag-team back and forth on this.
7 But critical, as she explained earlier, is to
8 identify the conflicts between our plan and policy
9 and what, by way of example, the NTT has out there.

10 And so by way of the first one -- this is
11 in the approved plan under the principles category,
12 but the first one is we have a naturally fragmented
13 habitat, and it's clearly a peripheral population.

14 And I'm not going to read all this white.
15 This is death by PowerPoint, so I apologize. But it
16 is in the handout and it's also in the plan
17 verbatim.

18 But ultimately we believe this conflicts
19 with the NTT objective which is to achieve the
20 following conditions in the priority and general
21 habitat which is, and I will quote this, to maintain
22 or increase current populations, manage and restore
23 priority areas so that at least 70 percent of the
24 land cover provides adequate sagebrush habitat to
25 meet Sage Grouse needs.

1 MS. BYFIELD: And I think the point, just
2 to emphasize the point, is that is just physically
3 impossible in Garfield County.

4 MR. JARMAN: So another example is the
5 principle for multiple use management. Of course,
6 as Jim and David will tell you, the mission of their
7 agency is to promote and enhance multiple uses for
8 the public.

9 And we believe that that conflicts with
10 the goal of the, quote, new paradigm that is talked
11 about in the NTT which is management priorities will
12 need to be shifted and balanced to maximize benefits
13 to Sage Grouse habitats and populations in priority
14 habitats.

15 So it's a direct intended left-hand turn
16 away from the very mission that the BLM has.

17 No. 3, no infringement on private property
18 rights. And so we believe this conflicts with the
19 NTT where they indicate manage priority Sage Grouse
20 habitat so that discrete anthropogenic disturbances,
21 human disturbances, cover less than 3 percent of the
22 total Sage Grouse habitat regardless of ownership.

23 MS. BYFIELD: I think the key point there
24 is that in doing the 3 percent disturbance, when you
25 take into account everything happening on private

1 land as well, you're really infringing on the
2 property rights.

3 That your management, particularly to the
4 BLM, management responsibility is on the federal
5 lands, but trying to use all the private lands in
6 order to get to your 3 percent disturbance infringes
7 on that. And so it's in conflict with the County's
8 policy.

9 MR. JARMAN: Which is a nice tangent
10 really to this next one, which is human disturbances
11 kept at a minimum.

12 And here we believe this conflicts with
13 NTT where it states the overall objective is to
14 protect priority Sage Grouse habitats from human
15 disturbances that will reduce distribution or
16 abundance of Sage Grouse. So along those same
17 lines.

18 And in the plan principles, we wanted to
19 point out a few key ones here. Certainly the area
20 we're talking about has, I would say, a significant
21 amount of active fluid mineral development and the
22 potential for certainly future fluid mineral
23 development.

24 And along those lines, we have a policy
25 really that is to close suitable habitats. So again

1 using our mapping again, if you go back to the red
2 speckled map, on federal lands, mandatory on federal
3 lands, as determined by our mapping to future
4 surface disturbance unless the fluid resource cannot
5 be extracted without minimal disturbance, surface
6 disturbance. That's key that it's surface.

7 So in this case, the BMPs would be
8 followed and, if necessary, mitigation used to
9 ensure a no net loss of Sage Grouse habitat and no
10 deleterious demographic effect on the population.

11 In addition to that closing of suitable
12 habitat, we have a .6 mile or 1-kilometer NSO around
13 active leks outside of those suitable habitat areas
14 in the event that those occur. So it's really a
15 two-pronged approach here with avoidance and the NSO
16 as compared to the NTT.

17 Continuing on, these are points that I
18 know that Dr. Ramey is going to speak to but, just
19 briefly, we believe that we are focusing this on a
20 cause-and-effect approach rather than a
21 one-size-fits-all. That cause and effect is from
22 the threat, a specific threat, again based on best
23 available science.

24 Rob, feel free to jump in when you like to
25 here.

1 Secondly, we recognize that there has been
2 a great deal of technological innovation and
3 efficiency reducing impacts that were previously
4 harmful to wildlife. Not only that, but we believe
5 a lot of these are temporary so they're not long
6 lasting forever. And that is a key component that
7 is important here.

8 Again, we believe we are relying on design
9 of mitigation that is tailored to the circumstances
10 that are unique here. Again, it's not the one size
11 fits all. It just simply doesn't work with the
12 terrain that Garfield County has.

13 And we believe that, frankly, the
14 incentive or conservation activities by the private
15 landowner work better than the purely regulatory
16 approach on those private lands.

17 Keep moving here and move into the
18 significance of the plan policies. Rob, do you want
19 to speak to these here?

20 DR. RAMEY: Having worked on endangered
21 species for 30-plus years, I can say that addressing
22 specific cause-and-effect mechanisms that underlie
23 each threat is imperative in order to be successful
24 in conserving any species.

25 And so that's one significant departure of

1 this plan versus some of the blanket prescriptions
2 that we're seeing in, for example, some of the BLM
3 and NTT planning prescriptions.

4 Another fundamental problem and something
5 that I'll talk a little bit more on in a moment is
6 that technological innovations have been continually
7 progressing.

8 So, for example, one of the primary
9 identified threats in the 2010 listing decision in
10 the National Technical Team report by the BLM and
11 the Conservation Objectives Team report recently
12 released is Oil and Gas development to Sage Grouse.

13 And one of the false perceptions that
14 seems to persist in the literature, and
15 unfortunately in some regulatory documents such as
16 those I just mentioned, is that the impacts today
17 are the same as at the time of some of the studies
18 that were done utilizing older technologies,
19 particularly those that were in use in the 1990s.

20 It has continually changed. There is
21 directional and horizontal drilling that reduces
22 surface impacts. There's liquid gathering systems
23 that reduce the overall level of activity.

24 Here in the Piceance Basin, Exxon reduced
25 by 65,000 trucks a year the traffic that is used.

1 The utilization of telemetry systems so that there
2 doesn't have to be as much traffic.

3 All of these combined, along with
4 electrification of fields and also trying to deal
5 with providing -- having predators such as ravens
6 near sights used by humans are all being dealt with,
7 and most of this is being dealt with voluntarily.

8 So we need to advance our knowledge based
9 on this newer information, that it's not the same
10 situation as the past.

11 MR. JARMAN: And, Rob, we kind of covered
12 up -- I apologize. That was very good. It's a
13 duplication, though, and in the interest of time we
14 want to keep moving because you're going to hit this
15 pretty hard here in a little bit.

16 So I just covered a few more of these so
17 I'm going to keep going here to our final punchlist
18 here, and then we'll turn it over to you so that you
19 can dive deeper into that.

20 So ultimately the key summary points for
21 policies, principles that are in this plan, we
22 believe that the NTT report takes a political
23 approach of narrowing policy options. And the
24 Garfield County plan takes a scientific approach
25 really expanding policy options.

1 And, secondly, the plan addresses the
2 cause-and-effect mechanisms, and Rob just touched on
3 that, as I did too, rather than this one-size-
4 fits-all blanket set of tools that don't do a good
5 job of understanding or applying to a local
6 circumstance.

7 And we believe again, you can't underscore
8 it any more, we have a very different local
9 circumstance that perhaps the majority of the rest
10 of the range.

11 No. 3, we also use an adaptive management
12 principle here. So as technology changes and
13 science changes, then we can adapt this plan to
14 those changes on a pretty rapid pace way with the
15 Board taking the lead on that.

16 And then, finally, the County's private
17 landowners are already doing conservation measures
18 now. And this plan really just reinforces those
19 private conservation efforts on the ground. So
20 there's a very strong correlation there.

21 So with that, unless, Margaret, anything
22 else you wanted to add to that piece, I'd like to
23 turn it over to Dr. Ramey.

24 DR. RAMEY: Sorry about that. When I was
25 invited to participate in this process and discuss

1 some of the scientific issues, I asked how many days
2 do we have to do this. So what you're seeing is an
3 abbreviation, a sort of Cliff Notes, if you will.

4 As an initial matter, I think it's
5 important to go back to the source documents of one
6 of the key studies that resulted in the 2010 Greater
7 Sage Grouse listing decision is warranted or
8 precluded. And is one that fundamentally affects
9 many different local areas because of its
10 implications.

11 And that is a study by Garton, et al.
12 This is a paper that was published in the Studies of
13 Avian Biology in 2011, and earlier a draft was
14 utilized to a disservice in its 2010 decision.

15 And this is a paper that utilized a lek
16 count data spanning 42 years to estimate population
17 trends in Sage Grouse and project them 30 to 100
18 years into the future, and then assigning risk of
19 populations based upon that.

20 Now it's a central fundamental tenet of
21 the scientific method that one should be able to
22 reproduce the results of a study, that one should be
23 able to go back to the data and obtain those data
24 and move forward with an analysis to validate those
25 results.

1 Another important part is that it is free
2 of bias and it's free of error. In this particular
3 case, this Garton, et al, study, utilized lek count
4 data just for males, as if females don't matter, and
5 it utilized data gathered by different individuals
6 from different agencies frequently using different
7 methods spanning 42 years.

8 It was gathered non-randomly. Initially
9 there were very few leks counted, and now we're
10 counting quite a few. So over time the amount of
11 efforts increased, also the number of males counted
12 per lek has decreased largely as an artifact of
13 that.

14 This analysis utilized lek count data to
15 estimate what population trends were going over time
16 and fit models to them and then project those into
17 the future. I'm not going too far into detail so I
18 won't lose you.

19 It then applied a metric, the 5500 rule of
20 thumb to these population predictions to ask, okay,
21 so for example in the PPR population here, if it
22 falls below 50, we have a high probability of it
23 going extinct.

24 If a Meta (phonetic) population, a Sage
25 Grouse management zone, for example, relevant here,

1 Colorado management zone applied to a management
2 zone 7, if it falls below 500 individuals, that this
3 whole region is likely to go extinct.

4 So it's fundamental at the basis of the
5 listing decision, and it also trickles down to local
6 management plans.

7 However, there's some problems with this,
8 and they're fundamental. First of all, there are
9 errors. So in this Garton, et al, paper, they
10 utilized Sewell (phonetic) rights 1938 population
11 genetic equation, the top one, to estimate the total
12 population size based on the number of males in
13 there.

14 And, as you can see, there's a four in the
15 enumerator of the top equation for estimating
16 effective population size based on the number of
17 males and females. That four was left out of the
18 Garton, et al, study. And this ended up in the
19 final published version.

20 And it's not just myself that discovered
21 this. There were six peer reviewers commissioned by
22 the Colorado Division of Wildlife, many of whom
23 discovered the same error independently.

24 The Council for the Endangered Species Act
25 Liability, Judge Manson, former Assistant Secretary

1 of Interior's group, discovered the same issue. I'm
2 publishing a paper about it.

3 This greatly overestimates the probability
4 of extinction for any one of these populations in
5 Sage Grouse management zones and the species as
6 well.

7 Another fundamental problem is that I
8 wasn't able to reproduce how he was going between
9 the number of males counted at a lek. He said that
10 there had to be 20 males counted at a lek, in a
11 population, in order to end up with a total
12 effective population size of 50 using that same
13 equation.

14 You can't get there from here. Actually
15 the correct number is 17 1/2. So once again, he's
16 setting a higher bar and overestimating the
17 extinction rates.

18 I can go into the issues and, like I said,
19 I could have days on this. One of the peer
20 reviewers, Rung (phonetic) in here for the USGS, had
21 pointed out that there's these and other fundamental
22 problems in there.

23 Conroy had found that if one takes the
24 algorithms that were used in estimating these
25 population trends and takes simulated random data

1 which has no trend, one ends up getting negative
2 trends about 40 percent of the time. That's a bias.

3 Perhaps most fundamentally and most
4 disturbing to me is the fact that those data that
5 are used as the basis of that pivotal, influential,
6 highly influential scientific paper are not publicly
7 available. I personally wrote to Garton four times
8 requesting those data and never received a response.

9 A colleague of mine recently wrote to
10 Garton and was told that he couldn't have the data.
11 He'd have to go separately to each state. And if
12 any one state said that you couldn't have the data,
13 you couldn't have the data.

14 This violates information quality
15 guidelines including those of the Department of
16 Interior. One has to be able to go back to the
17 original data.

18 I believe that a number of federal
19 decisions probably EISs have to rely on information,
20 and that has to be reproducible, it has to be
21 publicly available. And these are not.

22 Let me go on to another set of issues.
23 So, as I mentioned earlier, this 4-mile buffer zone
24 and 3 percent no surface occupancy restriction, for
25 example, on Oil and Gas, these blanket prescriptions

1 are flawed because they don't address the
2 fundamental threats.

3 The Fish and Wildlife Service identified
4 in the 2010 decision basically six key threats
5 affecting Sage Grouse. However, these blanket
6 prescriptions don't tackle the specific underlying
7 cause-and-effect mechanisms for each one of those
8 threats.

9 In 2011, we published a paper titled "Oil
10 and Gas Development and Greater Sage Grouse Review
11 of Threats and Mitigation Measures." This paper was
12 -- I personally handed it to Director Abby and
13 Assistant Director Poule at the BLM on September
14 16th of 2011. That paper outlines, in Table 1,
15 specific threats cause-and-effect mechanisms.

16 So one significant departure of the
17 Garfield County plan is that it plans to address
18 those specific cause-and-effect mechanisms and work
19 with landowners to mitigate any of those, instead of
20 relying on blanket NSO restrictions.

21 And let me just say from personal
22 experience, I worked on California condors,
23 Peregrine falcons early on, if we had kept with some
24 of the blanket prescriptions that were recommended
25 at the time for human disturbance, condors would be

1 extinct, Peregrines would still be listed.

2 Instead, what we did was to tackle the
3 cause-and-effect mechanisms underlying each threat,
4 and we were able to deal with the problems.
5 Peregrines were delisted. Condors now are over 450.
6 When I started, there were only 27.

7 Those blanket prescriptions are largely
8 based on Corliff (phonetic) studies from
9 Pinedale and Jonah Fields, some from the Poudre
10 River Basin. Significantly different technology
11 than is in use today.

12 They were basically putting vertical
13 straws in the ground in about a ten-acre spacing in
14 the Jonah Field, very industrial kind of place.
15 Poudre River Basin, similar sort of issues.

16 Substantially different here too is that
17 Garfield County, as we've seen, the topography, the
18 vegetation, and the types of disturbances are
19 substantially different from what those studies were
20 based upon.

21 However, probably most importantly is that
22 the number of these Corliff studies have not found a
23 population level effect. So a minor amount of
24 temporary avoidance by birds does not necessarily
25 correlate with a population decline or loss.

1 These prescriptions were also based on
2 some of the older technologies, as I just mentioned.
3 I won't belabor that point too much. However, there
4 really needs to be the acknowledgement of many of
5 these newer methods and technologies that I had
6 mentioned just earlier.

7 And that's going to be absolutely
8 fundamental for conserving the species we're all
9 discussing today.

10 Let me step back because we missed a point
11 there. That Garton, et al study had a number of
12 flaws and issues with it. It has population
13 predictions that are in a constant rate of decline
14 but yet populations actually fluctuate greatly.

15 Another central issue that we see
16 constantly coming up in both the 2010 listing
17 decision, the NTT document, and the Conservation
18 Objectives Team report is that of connectivity.
19 And, in fact, 18 kilometers is typically used as a
20 dispersal distance for describing what's a Sage
21 Grouse population.

22 However, more recent papers, and we'll
23 provide copies of those to you, including Christi
24 Bush in 2009 and Bush, et al, 2011, Tact 2011, Lyon
25 2003, have found the Sage Grouse dispersed over

1 larger distances and more frequently than thought.

2 Bush had found from genetic data males out
3 to 300 kilometers, females out to 150. Tact, males
4 out to 150 kilometers, females out to 120 kilometers
5 based on GPS tracking data.

6 Now obviously long distance dispersals are
7 not the norm, but these are significant because it
8 takes very few individuals from a genetic
9 perspective to move between populations to prevent
10 the loss of genetic diversity and the extinction as
11 a result of that.

12 The Conservation Objectives Team report
13 which was just released has a threats analysis and
14 has a ranking of the threats to those populations.
15 However, there's no justification of how those
16 rankings were arrived at.

17 It went from being a vote count of members
18 in the draft report to having a simple ranking which
19 appears to be subjective and is not quantitative.
20 So we're going to seek an explanation from the COT
21 regarding that.

22 An additional issue that I've seen here is
23 that, and one that is fundamental to this plan, is
24 how key private land conservation is. So 75 percent
25 of listed species on the Endangered Species Act

1 occur on private land. About 50 percent are
2 dependent upon private land almost exclusively.

3 Major scholars of Endangered Species Act
4 and conservation, including the present Deputy
5 Assistant Secretary of Interior, Michael Bean
6 Pollock, who published in the Stanford University
7 Journal of Law and Policy, Jonathan Adler, who
8 published in The Boston Law Journal, have all
9 pointed to the necessity, imperative necessity of
10 private land conservation, particularly voluntary
11 private land conservation and incentives to produce
12 that.

13 So there is a number of studies that have
14 shown that this is more effective than blanket
15 prescriptions and a command control type of
16 approach.

17 And then a final central issue I found and
18 one that we've discussed here is this narrowing of
19 policy options. And let me read you a quote
20 briefly. This comes from Professor Roger Pelkey,
21 Jr., at CU Boulder:

22 Addressing the significance of science for
23 decision making requires an ability to clearly
24 distinguish policy from politics. For science, a
25 policy perspective implies increasing or elucidating

1 the range of alternatives available to decision
2 makers and by clearly associating the existing state
3 of scientific knowledge with a range of choices.

4 The goal is to enhance the freedom of
5 choice. By contrast, the political perspective
6 seeks to decrease the range of alternatives
7 available to policy makers, i.e., to limit the scope
8 of choice.

9 Garfield County plan seeks to increase
10 those. And it's a fundamental difference that I've
11 seen concerning conflicts with some of the
12 regulatory documents that I've seen.

13 And I also have a number of documents to
14 provide the agency members. Some of those are still
15 being printed off.

16 DR. RAMEY: I think that Tom is going to
17 raise that.

18 COMMISSIONER JANKOVSKY: I think we've
19 shown what we found in the mapping. And then once
20 we started digging further into NTT, and this is for
21 the Service primarily, we started finding flaws in
22 the science.

23 And it's not just some of the things such
24 as Dr. Ramey has talked about as far as Garton's
25 population persistence reports, but we've found

1 documents that are field documents that we can't
2 even -- we don't even know what they mean. But
3 these are cited in NTT.

4 And so we are -- I mean not only are we
5 talking about questions we have with habitat, but I
6 think we're starting to look at some of the science
7 questions that are out there as far as the listing
8 itself and is it -- or if there's going to be a
9 potential listing.

10 So with that, we do have this document
11 that was sent on to us, and we cannot follow that.
12 Maybe I'll ask Dr. Ramey to --

13 DR. RAMEY: This was cited in the 2010
14 decision as Garton personal communication, and it
15 was obtained quite by accident. And so I challenge
16 anybody to decipher what it says.

17 However, this was cited in the document.
18 And what this supposedly says is that population
19 fluctuations in Sage Grouse are being eliminated
20 because of threats, Oil and Gas in particular, and
21 that's going to drive the populations into
22 extinction.

23 However, the available data from Wyoming,
24 for example, shows that these population
25 fluctuations are actually very alive and active

1 going on over the years. And, in fact, they all
2 tend to track each other.

3 A recently released dissertation out of
4 the University of Montana proposes an explanation
5 for this phenomena of population fluctuation as
6 being driven by precipitation and summertime
7 temperatures affecting survival. So we do have
8 fluctuations.

9 So not only does this Garton, et al study
10 from the past have a number of errors and biases and
11 the data is not released, some of the
12 recommendations that have come to the surface
13 regrettably are in error themselves.

14 And here's a very interesting slide. So
15 this is a comparison of the state average on the
16 lower level of male attendance per lek. And Wyoming
17 has some of the best data and the greater -- largest
18 Sage Grouse density. So it's worthwhile to look at
19 this.

20 And then comparing it to the Papa Joe
21 area, which is the Pinedale, Anticline, and Jonah
22 Field populations, both the core area average and
23 then the effective populations in the Papa Joe area,
24 Sage Grouse are still there. And, in fact, they're
25 doing better than the state average presently.

1 And they're tracking approximately --
2 obviously lek count data has a lot of, let's see,
3 there's error that come with it, but you see these
4 overall trends persisting.

5 There was a 2010 paper and a recent update
6 produced by a colleague, Renee Taylor. Those were
7 provided to decision-makers at both the BLM and Fish
8 and Wildlife Service in Washington, D.C. We're
9 having copies printed off for you to see that the
10 threat is overstated from Oil and Gas.

11 And particularly because the technology
12 has changed, the mitigation has changed, and there
13 were a lot of false perceptions that were set early
14 on.

15 And I would like to note the Colorado
16 Division of Wildlife's recently released comments on
17 the Gunnison Sage Grouse, those are very important
18 because they also stated a number of these threats
19 were overstated on the Gunnison Sage Grouse.

20 Some of those same arguments can be
21 applied here and refute some of the assertions made
22 in the NTT and Conservation Objectives Team report.
23 Thank you.

24 MR. JARMAN: Okay, thank you, Rob.

25 COMMISSIONER JANKOVSKY: I just would like

1 to go back to the 4-mile buffer. If we could touch
2 on that just a little bit more, I would appreciate
3 that.

4 DR. RAMEY: So once again this is based on
5 correlative studies in the Pinedale and Jonah
6 Fields. And it's based on what's the probability of
7 some level of avoidance of birds from those areas.

8 So again, to reiterate, different
9 technologies applied, different kinds of densities
10 applied to those. For example, even in the Poudre
11 River Basin, there was produced water as being
12 sprayed out on the ground. I mean large differences
13 with how things are done there versus how things are
14 done here.

15 Fundamentally, though, this 4-mile buffer
16 has persisted in the literature. And it doesn't
17 deal with any of the specific issues that are cause
18 and effect and local in nature and can be mitigated.

19 It is not directly applicable to the
20 situation here. This is a naturally fragmented
21 population, southern end of the range, and it is a
22 different level of development and technology there.

23 COMMISSIONER JANKOVSKY: Thank you.

24 MR. JARMAN: And thanks, Commissioners.

25 And we're just about done here. We saved a couple

1 of video clips to show and really illustrate I think
2 the difference. I think it will be very helpful to
3 have you understand why we've taken such a close
4 look at this.

5 This first video clip, if I can get it to
6 run here, is again from the helicopter flight we
7 took when we went up on top of the plateau. And,
8 let's see if this will play. I may have to do it
9 this way. Let's do it this way.

10 But this gives us -- Dr. Ramey took this
11 -- hopefully this will play. Here we go. So this
12 is priority habitat as mapped by CPW.

13 DR. RAMEY: Notice the large aspen stands,
14 forested areas. It's a very patchy habitat, as Eric
15 and Zack pointed out.

16 MR. JARMAN: All right. So then to
17 reinforce the comparison, this is a separate video
18 shot of the Jonah Field in Wyoming.

19 DR. RAMEY: It resembles an industrial
20 zone.

21 MR. JARMAN: Okay, so that's it. I'd like
22 to thank the Commission and all the agency staff and
23 everybody for sitting through that.

24 COMMISSIONER JANKOVSKY: I would really
25 like to thank Fred and our team for putting this

1 together.

2 As you can see, we have concerns. We've
3 talked about that from the get-go. Primarily
4 started out with topography mapping, geography and
5 the differences that are coming out of the NTT
6 report.

7 And then going further into that, we
8 started getting into some of the questions on
9 science. And I know you guys here are going to have
10 a lot of questions for us, and we want to hear
11 those.

12 But, you know, bottom line when we end up,
13 we just really want to know why our -- not why, we
14 want to have our report as one of the alternatives
15 in the EIS. That's really where we're headed. And
16 we feel that coordination process and FLPMA has laws
17 there that it should be included.

18 CHAIRMAN MARTIN: I didn't want to sit in
19 front of the projecting screen there so that you
20 could all be concentrating on it instead of watching
21 my head bobbing back and forth.

22 So what we're going to do is take a small
23 break, and then we're going to come back and follow
24 again the agenda and do some discussion and
25 interaction and see what we can come up with.

1 (Recess was taken.)

2 (Back on the record.)

3 CHAIRMAN MARTIN: I hope the TV didn't set
4 in. I hope everybody was okay.

5 Once Mr. Samson enters the room, we'll all
6 stand and salute. Yeah, it could be like break out
7 in spontaneous applause for Mr. Samson, yes,
8 unrehearsed. Perry was hogging the conversation.

9 You have permission to rise. All rise.
10 Mr. Samson has arrived.

11 (Applause.)

12 CHAIRMAN MARTIN: Our next item is the
13 discussion on habitat mapping by CPW for Garfield
14 County. Did we do all that, Fred? Don't we want to
15 do a little discussion on that particular issue?

16 MR. JARMAN: Thank you, Chairman. So
17 we've gone through -- and thank you for sitting
18 through that presentation. There's a lot of
19 information there obviously.

20 But we wanted to dedicate the rest of
21 today really to have a discussion on the mapping and
22 everything that we presented, knowing that you've
23 had it in advance and seen where we are. We would
24 love to hear your thoughts and have a discussion
25 here.

1 And, of course, our team is here and
2 available to talk about the mapping. I mean
3 obviously that's very important to us and the basis
4 for our plan.

5 So I'd turn it back to the Chairman at
6 this point, but to start it open for discussion.

7 CHAIRMAN MARTIN: Right. And this is a
8 coordinating effort. So the coordinating partners
9 are the ones that are probably going to speak.

10 I probably won't take any comment from the
11 public, simply because this is a meeting between
12 government to government. Trying to have a
13 discussion, an open discussion, honest discussion on
14 the mapping and where we're headed as Garfield
15 County.

16 Jim, you're looking at your pen, man. Do
17 you want to start it out? Do you want to break the
18 ice, buddy? Come on.

19 MR. CAGNEY: No, I thought we were
20 going --

21 CHAIRMAN MARTIN: We will, we will.

22 MR. CAGNEY: I was planning to make a
23 couple points in the NEPA segment.

24 CHAIRMAN MARTIN: Okay, very good. That's
25 cool. All righty. CPW.

1 MR. PETCH: Several things that we would
2 like to discuss with you. And I don't know how you
3 want to frame this, Fred.

4 MR. JARMAN: Go for it.

5 MR. PETCH: Let me start with the priority
6 habitat map. Priority habitat and general habitat
7 designations are definitions that we have not
8 traditionally mapped to in Colorado. And I don't
9 know that other states have mapped to them as well.

10 Those definitions arise from the BLM NTT
11 report and from surrounding BLM instructional
12 memoranda that describe those as the map layers that
13 BLM would use in their EIS.

14 So the priority habitat map that has been
15 somewhat discussed tonight or today and has been
16 prevalent in the BLM Sage Grouse EIS discussions was
17 produced for BLM's use in that effort.

18 It was done on a statewide basis. It was
19 done using whatever information we had from all six
20 of our populations in Colorado, but brought to a
21 statewide framework.

22 That said, some of what occurs in Moffat
23 County with Sage Grouse, what occurs in North Park,
24 influenced how that map looks in Piceance. Some of
25 what happens in Piceance influences how that map

1 looks in Moffat County and Routt County and in Eagle
2 County, for instance. So it is a statewide map.

3 The other thing that -- well, I guess I'll
4 leave the priority habitat map there for now unless
5 there are questions. And maybe there will be as we
6 get into this a little further.

7 MS. BYFIELD: Can I interrupt you?

8 MR. PETCH: Yes, ma'am.

9 MS. BYFIELD: That brings up I think a
10 really good question. So if I understand this
11 right, it's your data, Colorado Parks and Wildlife's
12 data, but you did it based on parameters given to
13 you by the BLM. Am I stating that correctly or
14 understanding that correctly?

15 MR. PETCH: No, the definition is
16 established that it should include those seasonal
17 habitats that are used by Sage Grouse, breeding
18 season, the brooding season in the summertime and
19 winter.

20 Additionally, although this wasn't in the
21 original definition, it's in the instructional
22 memoranda, but also connective areas between those
23 areas of habitat as well. So you see linkage areas
24 identified between populations in the Colorado map.

25 You also see areas of less suitable and

1 sometimes unsuitable habitat within populations that
2 we have evidence or strong suggestion that birds
3 move across in accordance with their seasonal or
4 sometimes even daily behavioral patterns.

5 So, anyway, produced a definition to
6 include those habitat types. We generally have
7 mapped by seasonal habitats in our other mapping
8 with the exception of our overall range boundary
9 which is our best guess of where the majority of
10 Sage Grouse are located in Colorado.

11 There are flyers outside that, but that's
12 the area that we believe is Sage Grouse habitat that
13 could and should be managed for the continued
14 persistence of Sage Grouse.

15 The occupied range map adjusts
16 periodically. We remap our wildlife habitat layers
17 on about a 4-year cycle. We just redid the occupied
18 habitat map prior to going into this priority
19 habitat mapping, so we were working from the most
20 current sense of where Sage Grouse occurred going
21 into that process.

22 In the general habitat is those things
23 that aren't, you know, the most important, the most
24 crucial for maintaining populations but are other
25 areas that are occupied by Sage Grouse. And for

1 Colorado we used our occupied range map as that
2 outside perimeter.

3 There was a slide earlier. And maybe
4 actually this might be a good time to deal with it,
5 Fred, the slide that shows the difference between
6 the Mindy Rice model map and priority habitat.

7 MR. JARMAN: You'll have it for 42
8 seconds.

9 MR. PETCH: And then you are done. I'm
10 not sure I'm that fast.

11 MR. JARMAN: I apologize, we'll be able to
12 reboot this soon.

13 MR. PETCH: No problem.

14 MR. JARMAN: I'm sorry.

15 MR. PETCH: Not a problem, Fred.

16 MR. JARMAN: It kind of gives you a sense
17 -- well, actually this is the 2008 mapping. Oh, I
18 know what the map you're talking about is. I'm
19 sorry. Yeah, the Mindy Rice stuff, yeah. Okay,
20 here we go.

21 Okay, Brad, talk about it.

22 MR. PETCH: All right. My sense of the
23 discussion when this was presented earlier is the
24 fact that it shows red on the right and green on the
25 left is a discrepancy in our model process in

1 developing habitat.

2 The discussion earlier was we used three
3 layers in developing that priority habitat map, or
4 three processes, if you will. We used the seasonal
5 habitat maps that were developed and are reported in
6 Mindy Rice's paper that's now been accepted for
7 publication in the Journal of Wildlife Management.

8 Those seasonal habitat maps then were
9 aggregated across those three seasons. So the area
10 that was a high probability of use for breeding and
11 an area that was high probability in winter and in
12 the summer period, all those high probability areas
13 were aggregated because the priority habitat
14 definition is the aggregate of those seasonal
15 habitat types.

16 As you noted in that screen shot of one of
17 Mindy's maps, those are extensive areas, more
18 extensive than we were comfortable saying those were
19 areas that met the definition of priority habitat
20 which is essentially that it's key to the long-term
21 persistence of those Sage Grouse populations.

22 And so we used the other two layers that
23 you referenced. One of them is production areas
24 which we have defined as a 4-mile radius around lek
25 sites as an index of distribution of Sage Grouse,

1 not as an impact assessment, but an index of
2 distribution.

3 We used that to clip what we called
4 priority habitat back. So we reduced priority
5 habitat based on 4-mile radius, so areas that are
6 demonstrated throughout Colorado and throughout much
7 of the West to contain about 80 percent of nesting
8 Sage Grouse nests centered around a lek of capture.

9 MS. GRIFFIN: So I think you need to point
10 out the difference between their 4-mile buffer and
11 ours.

12 MR. PETCH: Right. The other clip is the
13 occupied range clip that we also clipped back
14 anything in Sage Grouse habitat that fell -- or
15 anything in Mindy's models that did not fall within
16 our occupied range map, we clipped out.

17 May show based on vegetative assessments
18 or based on comparison to areas that were used by
19 telemetry birds as being suitable for Sage Grouse,
20 we removed those areas if they were outside our map
21 of occupied range as not being an area that we were
22 intending to manage for Sage Grouse or believed had
23 a viable opportunity to be managed for Sage Grouse.

24 So you see those restrictions in areas
25 that show red on Mindy's models down to what we show

1 as priority habitat. And the specific thing that
2 was shown in that slide earlier was a reduction of
3 an area that shows in Mindy's models as being pretty
4 suitable based on comparison to other locations of
5 telemetry birds in the underlying vegetation
6 character.

7 Because it was such a long distance from
8 any known concentration of birds and we used lek
9 locations as that index of concentration, we clipped
10 those out and said that that's not a place we're
11 going to call priority habitat.

12 Is it occupied? Yes. We have evidence
13 that there are birds there. Is it suitable? In our
14 belief it is. Certainly there's a discrepancy
15 between your map of suitable and ours that we want
16 to talk about yet this morning.

17 So, anyway, that's where you see some of
18 those differences between the seasonal habitat
19 models in the Rice paper and what shows up as
20 priority habitat.

21 The question of 4-mile radii came up a
22 minute ago. And there are several uses for 4-mile
23 radius circles in the Sage Grouse world right now.

24 The underlying one, and the one we use in
25 Colorado, at least Colorado Parks and Wildlife, is a

1 4-mile radius -- we've use the term production area
2 for it in other contexts -- as an index of where
3 nesting Sage Grouse are distributed.

4 That throughout a variety of studies
5 totaling hundreds of nests, there's a very
6 dependable distribution curve of how Sage Grouse
7 nests are oriented around leks where those birds
8 were originally captured.

9 And at 4 miles in Wyoming, in Colorado
10 studies, in other studies around the intermountain
11 West, a high prevalence of studies show that at 4
12 miles you're at about -- 80 percent of the nesting
13 sites are within that 4-mile circle.

14 So as an index of distribution, we think
15 it has good scientific validity and it is pretty
16 well proven in literature in Colorado and elsewhere.

17 That concentration of birds then is used
18 in a number of other context. In the NTT report
19 it's used as an NSO area, for instance. That's
20 moving beyond the data that suggests how the birds
21 are distributed to an assumption that if you
22 protected that, then you're going to protect 80
23 percent of the birds by extension.

24 That's a very different use of the 4-mile
25 radius than the one we used in building the priority

1 habitat map, which is using it only as an index of
2 distribution, of where birds are most likely to be
3 located.

4 CHAIRMAN MARTIN: Let me get that straight
5 now. It's not that you're recommending no surface
6 occupation in that 4-mile which is actually an
7 eight-mile range as a circle. You're only using it
8 as potential of the habitat and the nesting areas,
9 et cetera, but yet there can be human activity
10 within there.

11 Because looking at the map at 221,000
12 acres, 70 plus percent is privately owned land
13 that's already under either agricultural or other
14 developments. And taking the goal of 3 percent
15 human disturbance within the priority habitat is
16 physically impossible to reach within this area.

17 Are you agreeing with me on that?

18 MR. PETCH: Yes and no. In the context of
19 yes, from a Division of Wildlife standpoint --
20 sorry, that happens to me every day almost. From a
21 Parks and Wildlife standpoint, we are very
22 comfortable with the assessment that birds are
23 distributed across that distribution curve.

24 And in our comments on activities,
25 activity level planning at BLM and elsewhere, we

1 routinely refer to that as evidence that birds are
2 likely to be there. And so management practices
3 that are suitable for maintaining Sage Grouse ought
4 to be applied there.

5 The specifics of the NTT report and how
6 that applies in an alternative for the future draft
7 environmental impact statement, we're still
8 evaluating, as are the other cooperators. And
9 that's my yes and no part is we haven't come to
10 grips with that yet.

11 CHAIRMAN MARTIN: Okay, let's go back to
12 the yes part of that particular issue. In reference
13 to the private land, you also offer incentives and
14 not a mandatory requirement under Division of
15 Wildlife. But you incentivize the approach for
16 conservation issues.

17 MR. PETCH: We do. And that falls short
18 of -- I mean the word "incentive" often carries with
19 it the connotation of some monetary benefit.

20 CHAIRMAN MARTIN: Not necessarily.

21 MR. PETCH: We aren't participating in
22 that very often. But certainly from all of our
23 management plans, the PPR management plan that was
24 referenced earlier, our state management plan, are
25 all voluntary conservation plans.

1 And, you know, the 2010 decision was
2 referenced earlier. That's one of the places the
3 Service has raised an issue, that they are concerned
4 about the validity of those conservation plans in
5 demonstrating conservation efforts on the ground.

6 CHAIRMAN MARTIN: And that's the paradigm
7 shift in reference to the new approach versus what
8 has been practiced for so many years?

9 MR. PETCH: Absolutely.

10 CHAIRMAN MARTIN: Okay.

11 COMMISSIONER JANKOVSKY: Concerning the
12 4-mile buffer, I mean we don't have a problem with
13 that as long as there's Sage Grouse habitat. But
14 when there is valley floors, there's black timber,
15 there is PJ, there's aspen, they're not in that
16 habitat. They may fly over it.

17 I mean definitely these birds are going
18 from one -- they have to be going from one area of
19 habitat to another. And that's where we have a real
20 problem with that. And that's what Dr. Ramey was
21 getting at.

22 I mean, you know, you start talking about
23 conductivity, but because a bird flies over aspen or
24 flies over conifer doesn't mean that it's priority
25 habitat. And that's really what we're getting at

1 with our mapping.

2 MR. PETCH: And let me address that
3 specifically, if I may. The slide you had up a
4 minute ago, Fred, that showed the priority habitat
5 map right at the top of your pick list.

6 The red areas in the lower left-hand
7 corner are mapped as priority habitat based on the
8 vegetative characteristics and similarity to places
9 we know we have telemetry bird locations.

10 They are clipped to the shape they're in
11 because of their proximity to a strutting ground
12 being four miles away. That strutting ground is up
13 on, for some of them Skinner Ridge, for some of them
14 up on the ridge between Brush Creek and Clear Creek.

15 But you'll notice we don't include the
16 valley floors in those 4-mile radii. So the
17 perimeter that brought those areas down onto the
18 very southwestern portion of the map up there got
19 there by a 4-mile radius, but they are not
20 continuous 4-mile radii.

21 Now there are a couple of examples of
22 that. Topography is the easiest one to deal with
23 and the most obvious in the Piceance, that a
24 600-foot vertical drop is not Sage Grouse habitat.

25 And, frankly, even if it is likely to be

1 Sage Grouse habitat at the bottom or would be in
2 some other place, they don't use those in the
3 Piceance, those riparian meadows at the bottom of
4 say Roan Creek or Clear Creek or some of those on
5 the south side of the divide here.

6 COMMISSIONER JANKOVSKY: When you get into
7 that red area there, you will see these types of --
8 this topography. I mean what you carved out there
9 was like Parachute Creek and Roan Creek which are
10 huge -- I mean 2,000-foot vertical drops.

11 MR. PETCH: Right.

12 COMMISSIONER JANKOVSKY: But there are
13 ridges and 600, 800-foot drops throughout this
14 entire red area. And that is why we went back with
15 the mapping we did to come up with --

16 MR. PETCH: There are. And that really
17 brings us to the criteria that were used in the
18 vegetative map. The mapping process that you all
19 used in your plan is not terribly distinct in
20 concept from other mapping processes we have used in
21 the past.

22 The difference, and where there's a
23 significant break in technique, is between say the
24 Heather Sauls' map that was referenced earlier and
25 that I want to come back and talk about this morning

1 and the resource selection functions that Brett
2 Walker is working on and the priority habitat map,
3 where those are built as much based on telemetry
4 points as they are on habitat associations.

5 The model in the Garfield County plan is a
6 very traditional approach using newer data, newer
7 vegetation classification but a similar approach of
8 making assumptions about where birds are going to
9 use, what habitats are going to be suitable, and
10 looking for those places in the landscape.

11 And in that sense, those assumptions are
12 critical. That dictates where the model maps as
13 suitable and where it does not.

14 And those are the hardest things to come
15 to grips with. And in many cases, there is not a
16 right and wrong answer there.

17 Some of the photos that have been flashed
18 up on the screen here in a little bit, or in the
19 last few minutes, some of those are, we think,
20 probably barriers to Grouse use.

21 They're not using those valley bottoms.
22 Even in things that are 100 feet maybe in elevation
23 difference. But in many of them, they are.

24 And some of that is based on vegetative
25 character, some of that is based on subsurface soil

1 and the ability of moisture to get to the surface
2 and produce wet meadows.

3 And that's where some of the interest has
4 come from in really letting the telemetry birds
5 begin to tell us where they're choosing to go, not
6 using our assessments of what's suitable, which is
7 always based on, you know, some reference to
8 scientific data collection but also an awful lot of
9 assumption and assessment of what is suitable. And
10 we're not always right on that.

11 DR. RAMEY: Brad, if I could just
12 interrupt just a second.

13 MR. PETCH: Please.

14 DR. RAMEY: This notion that a couple of
15 hundred foot difference in topography is a barrier
16 to Grouse, I mean that flies in the face of your own
17 data.

18 Because the lek data we have been able to
19 obtain shows some birds that are out on little
20 fingers of habitat that are separated by gaps of a
21 thousand feet and a half a mile or more.

22 So the birds obviously go across those,
23 and then also the genetic and GPS tracking studies
24 that I cited, so again Bush 2009, Bush, et al 2011,
25 Tact, et al 2011, and the old collaring study by

1 Lyon showed that birds do disperse over long
2 distances and over and around what is considered to
3 be unsuitable habitat, including agriculture, oil
4 and gas, rivers, roads, et cetera.

5 MR. PETCH: That's absolutely correct.
6 And, frankly, that's part of the reason our priority
7 map looks the way it does is our assumption that
8 they're not going to use that canyon bottom is an
9 assumption, until we can verify that based on actual
10 bird behavior or bird locations or something like
11 that.

12 And so as you get into the more -- the
13 less definitive kinds of breaks, not a Clear Creek
14 drainage, although they fly over that routinely, not
15 a Parachute Creek drainage, although again they fly
16 over that pretty routinely, but the kind of swale
17 that's shown in the upper photograph here, how do
18 birds use that habitat?

19 Our assumption in 2006, 2007, 2008, the
20 time that the Heather Sauls' model was built, the
21 time the PPR plan was completed, and based to some
22 extent on a very small telemetry data set from a
23 Master's project that occurred in the Piceance, was
24 that birds were using these ridge-top habitats,
25 essentially what is showing white in that photo on

1 top or the most pale color, you know, the most open,
2 snowiest area, and that they were doing most of that
3 movement by foot.

4 Well, birds don't have wings unless they
5 intend to use them, in general sense.

6 But much of the telemetry data from early
7 on, again very small sample size, very short
8 duration, only collected in the summertime, or by
9 and large collected in the summertime, was
10 indicating a very concentrated use of those
11 ridge-top areas.

12 And with slope parameters very similar to
13 the ones that are included in the Garfield model,
14 with vegetation parameters, an almost absolute
15 reliance on where sagebrush is distributed as an
16 index of where Sage Grouse are going to be.

17 That's why the Heather Sauls' model looks
18 so similar to some of the models that have been
19 shown out of the Garfield model as well, because the
20 underlying assumptions that went into those were
21 very similar.

22 I want to come back to the assumptions in
23 a minute.

24 DR. RAMEY: But hold on a second, if I
25 could. So explain then how the Sage Grouse got out

1 to Lek No. 247020021 separated by these large gaps
2 that are basically islands.

3 MR. PETCH: They flew is my guess.

4 CHAIRMAN MARTIN: They can.

5 MR. PETCH: Absolutely. Now in 2006, '07,
6 '08, we didn't believe there was as much overland
7 travel as there clearly is.

8 And in GPS, birds have shown that more
9 clearly than any VHF birds ever have is that even on
10 a daily basis, we're seeing significant movements
11 across large areas of -- well, sometimes large areas
12 of suitable habitat, but often large areas of
13 unsuitable habitat as well.

14 They do move to a greater extent than we
15 believed certainly five, six years ago.

16 But as you build those into the
17 assumptions of very small patches of habitat, then
18 we were headed very much in the same direction in
19 this hypothetical model that is contained in the
20 appendices in the PPR plan.

21 But I would also like to draw your
22 attention to the maps of occupied range that are
23 included in the body of the PPR plan. That focusing
24 on the appendix is not always necessarily the best
25 approach or the best description of what was

1 intended in that plan.

2 The map that's included in the body of the
3 plan, and I'll reference the occupied range map on
4 page 50 of the PPR plan, looks very much -- actually
5 it's larger than the priority habitat map that we're
6 currently working with in the PPR.

7 Is that accurate at a 2-meter scale? No.
8 Is it accurate on a where are birds generally
9 distributed in the Piceance Basin? Much more so.

10 And so that's one of the things you run
11 into with maps is the purpose the map is derived for
12 makes a huge difference in what it's going to look
13 like.

14 MR. JARMAN: Hey, Brad, let me interrupt
15 you for a second. I couldn't agree with you more on
16 that last statement.

17 The question that we're trying to get to,
18 though, is reproducibility. And sort of a core
19 issue.

20 And so I hear a lot of what you're saying
21 using words like assumption and professional opinion
22 and in the field and all those things that are all
23 well and good, but they're not cited literature
24 either.

25 And when it comes to reproducibility,

1 wouldn't you agree that that's absolutely critical
2 in creating a map that's going to be used for
3 federal policy?

4 MR. PETCH: Yes, in the context, the
5 repeatability is generally discussed in scientific
6 circles. That's different than the context we're
7 discussing it in today.

8 MR. JARMAN: Say that again. It's
9 different than what?

10 MR. PETCH: That's different than the
11 context we're talking about today. The
12 repeatability in the context of scientific --

13 MR. JARMAN: Reproducibility.

14 MR. PETCH: I'm sorry, reproducibility is
15 generally -- this is not in a policy standpoint,
16 this is in a scientific paper standpoint -- is
17 nobody even starts to look at trying to reproduce or
18 replicate a study until it has been peer reviewed
19 and published in a journal.

20 And that's really where we are now. We
21 have evidence that is showing us things.

22 We have a management time frame that is
23 requiring us to do things on an accelerated
24 schedule, and we have data that's not complete yet
25 in a scientific scale of peer reviewed, completed

1 project, and published in a peer-reviewed
2 literature.

3 So some of this goes around to the issue
4 of the CORA request and why Parks and Wildlife
5 denied Garfield County's request for the telemetry
6 data. And I assume you guys would like to address
7 that. I would.

8 MR. JARMAN: No, I appreciate that. What
9 I'm hearing from you is that you cannot -- you would
10 agree that you can't reproduce the map that you've
11 produced.

12 MR. PETCH: We certainly can reproduce the
13 map that we've produced.

14 MR. JARMAN: So is that information --

15 DR. RAMEY: But can we reproduce your map?

16 MR. PETCH: Can somebody else reproduce
17 that based on the data that we are releasing at this
18 point? Because it is based on telemetry data that,
19 in the Piceance anyway, is still part of an ongoing
20 research project, no.

21 MR. JARMAN: All right, stop there for a
22 second. So now you've got enter into the picture
23 the BLM who's using your map now getting ready to
24 release a draft EIS based on that map. And under
25 federal law you've got to be able to disclose the

1 data that supports that map.

2 So how can you sit here on the verge of
3 the draft release saying none of that data is
4 available?

5 MR. PETCH: The primary issue -- let me
6 address the CORA issue, and then we can come back to
7 that. The primary issue with our release of interim
8 data is that we have a large fiduciary
9 responsibility in that data to make sure that we get
10 the best science out of it that we can.

11 And in the Piceance, for instance, we have
12 several hundred thousand dollars invested in that
13 study, most of it provided by industry partners who
14 also have an interest in us driving that project to
15 completion, being able to publish it.

16 The issue with prior release of data is
17 that it gets out, gets analyzed by someone else,
18 gets published by someone else. And our investment
19 in that research data is no longer usable by us
20 because we can't get it published. We've been Paul
21 Revere'd once that data is out there.

22 So that's the reason that clause is in the
23 CORA statute for universities, for researchers in
24 state agencies, is to maintain the integrity of
25 ongoing scientific research until it reaches the

1 point where normal scientific processes would carry
2 on.

3 So in that sense, that's why we have not
4 released that data and why that clause is present in
5 the CORA statute that protects that data until it
6 has been peer reviewed and published.

7 DR. RAMEY: However, you've already
8 published.

9 MR. PETCH: Beg your pardon?

10 DR. RAMEY: You've already published.

11 MR. PETCH: We've published the seasonal
12 habitat maps including a portion of that data set,
13 data up through -- we cut it off in 2010, Kathy?

14 MS. GRIFFIN: Uh-huh.

15 MR. PETCH: It also includes thousands of
16 data points from other counties in Colorado, from
17 Moffat County, data that was collected in Eagle
18 County, and in Southern Routt County, and then
19 Piceance data points as well.

20 We have released to you those data points
21 that are no longer part of an ongoing research
22 project consistent with the CORA request. But we
23 have not, and at this point do not intend to,
24 release those ongoing research projects that are
25 specifically protected by the CORA statute.

1 CHAIRMAN MARTIN: Therefore, that's our
2 conflict with the NTT report and also the
3 mapping process, et cetera.

4 MR. PETCH: I understand your conflict
5 there.

6 MS. BYFIELD: Let me interrupt you.
7 Because the problem here is that you put the BLM in
8 a pretty big box because they're under a different
9 requirement with NEPA, CEQ regulations, and the
10 Information Quality Act.

11 They're under a completely different
12 requirement which means they can't release anything,
13 disseminate anything to the public unless they can
14 produce the data behind it.

15 So you produced a map that they are trying
16 to rely on, that they cannot rely on. So when they
17 come out with their draft, they're in a real box.

18 CHAIRMAN MARTIN: Not a desirable
19 situation.

20 DR. RAMEY: Could I just address the
21 scientific issue here? You just heard from me about
22 this one study that had numerous issues, and it was
23 peer reviewed and published and relied upon.

24 So peer review is not necessarily the gold
25 standard. It is, at best, an imperfect filter on

1 information.

2 But let me read to you the Office of
3 Management and Budget Guidelines on information
4 quality. Prior peer review and publication is not
5 by itself sufficient grounds for determining that no
6 further peer review is necessary and that the
7 adequacy of peer review for highly influential
8 scientific documents, so this cuts to the agency, is
9 a rebuttable presumption.

10 MR. PETCH: Right. The difference, I
11 believe, in this case -- and my guess is we'll get
12 to the end of this conversation and have to agree to
13 disagree on this -- but my assumption on the
14 specific issue of BLM is that the priority map is
15 not a BLM product.

16 The priority map was produced by the State
17 of Colorado and the State of Wyoming, the State of
18 Utah, the State of Idaho, as a description of what
19 priority habitat is or what general habitat is in
20 the State of Colorado.

21 MS. BYFIELD: Okay, but BLM is relying on
22 it.

23 MR. CAGNEY: Can I inject a point?

24 CHAIRMAN MARTIN: Go ahead, Jim.

25 MR. CAGNEY: Talking about the box I'm in,

1 the BLM has relied on State Game Agency maps since
2 the beginning of the existence of the Bureau of Land
3 Management.

4 It's a process that I think has served the
5 public pretty doggone well, which is not to suggest
6 that I've always agreed with everything on that map.
7 You know, what we've done, and be it Wyoming and
8 Colorado, the two states that I'm familiar with, is
9 use those maps.

10 If we were to choose to not use State Game
11 and Fish Agency maps, then we would be required to
12 essentially make our own and defend our own.

13 And I'm just horrified by that prospect
14 because the Bureau of Land Management simply does
15 not have the resources or the capability or any kind
16 of ability whatsoever to duplicate that effort.

17 I'm kind of a little bit horrified by some
18 of this proceeding here in that we're just going to
19 usher in a new era where any project proponent will
20 do a study and make their own map.

21 And if the BLM is in a situation where we
22 have to accept that as the new norm and take the
23 responsibility to come up with the scientific basis
24 to refute that on a project-specific basis, we're
25 out of business. I mean, that's a leap into the

1 void that I just can't see the Bureau of Land
2 Management surviving.

3 MS. BYFIELD: Mr. Cagney?

4 CHAIRMAN MARTIN: Hold on. Jim, finish
5 your conversation.

6 MR. CAGNEY: So, you know, there's really
7 nothing about the entire idea of Sage Grouse being
8 listed that I think is a good thing. I mean, nobody
9 likes this. But I don't see myself in a box because
10 of the Colorado Parks and Wildlife.

11 CHAIRMAN MARTIN: Okay. Well, we'll
12 defend you. It's great to have those maps and what
13 have you in reference to relying upon your policy
14 overall, management plans, et cetera. But if those
15 are faulty, and you're making that policy statement
16 based upon errors, then your policy is in error.

17 What we're trying to do is to make sure
18 that the CPW -- I hate to say that, I like Division
19 of Wildlife -- maps, but we feel that there are a
20 lot of errors in there, and that's what we're trying
21 to say.

22 And we do not -- and we're trying to
23 actually defend you, in that you're getting some
24 faulty information you're making an entire policy
25 statement on which is a leap beyond past practices.

1 I mean you look at your policy that you're
2 saying 3 percent of human disturbance in the prime
3 habitat is physically impossibility when 70 percent is
4 private land and has already been developed.

5 So we say, wait a minute, there has to be
6 a different way, Jim. So we're working with these
7 guys to find out what is real on the ground and why
8 six plans within the state are better than one
9 national policy.

10 And so that's what our goal is. We're
11 trying to also preserve the bird and do the right
12 thing for each agency. That's why we wish to be
13 coordinators and to have this exchange, instead of
14 just having one federal policy for 11 states and two
15 Canadian provinces. So that's what we're after.

16 So, Margaret, do you have any comments?

17 MS. BYFIELD: Yeah, and just as a point of
18 clarification, I just want to clarify that Garfield
19 County is not creating this situation.

20 That the Information Quality Act which is
21 a congressional act is what is requiring that the
22 data be looked at closer. And I believe that came
23 out in 2000, so it's been more recent that it's been
24 utilized, but it was prepared because it was
25 recognized that the quality of the science needed to

1 be verified, needed to be double-checked.

2 So the burden -- I mean I understand your
3 concerns, how is the BLM going to do this. But the
4 burden was not placed on you by Garfield County. It
5 was placed on you by Congress.

6 DR. RAMEY: And let me just add, this
7 transparency and openness is consistent with
8 President Obama's Freedom of Information Act
9 directive, and as well as John Holder, science
10 adviser to President Obama's Scientific Integrity
11 Guidelines that were released, that when in doubt
12 release the information, and to make sure that it
13 utilizes best available scientific information
14 through this process we've been discussing.

15 CHAIRMAN MARTIN: Okay, we're going to have
16 a timeline. I know that this can go on forever,
17 Brad. But we're going to try and close this
18 particular discussion out in about nine minutes.
19 Can we do it?

20 MR. PETCH: I believe so.

21 CHAIRMAN MARTIN: All right, thank you.

22 MR. PETCH: There really is only one
23 remaining issue I wanted to raise from a mapping
24 standpoint. And that is to address the Heather
25 Sauls' model.

1 It's interesting to me that it looks so
2 much like the Garfield models. But it's not a
3 surprise to me that it looks so much like the
4 Garfield models because it's based on very similar
5 thought processes behind it.

6 There's a statement in the plan, and it's
7 been referenced a couple of times today, about
8 Piceance is different than other places. And I
9 could not agree more, it is different than other
10 places.

11 The challenge that comes into the modeling
12 process, and it's something we faced in Heather's
13 issue, is that the data that's used to build those
14 conceptual models came from somewhere else. And
15 that's as true in the Garfield model, albeit some
16 use of preliminary reports from some of our own
17 researchers in the Piceance Basin.

18 But the national guidelines, those things
19 that suggest that birds avoid tall shrubs, that
20 birds avoid trees, that birds only use wet meadows a
21 certain distance from sagebrush, are largely derived
22 in the Great Basin, in Idaho, in the Wyoming Basin.

23 They are not necessarily applicable to the
24 Piceance Basin. And I don't mean to throw stones by
25 saying that because we use the same kinds of

1 assessment in the Sauls' model that we contracted
2 for as an example of how we might proceed in the
3 future in the PPR plan.

4 That said, we know now since 2006 that
5 those characters are not -- they don't adequately
6 represent the distribution of the birds. And again
7 this is stuff from telemetry points that is ongoing
8 research development.

9 But there are two things that, and forgive
10 me if I'm wrong, correct me if I'm wrong, but the
11 two things that really the Garfield model and the
12 Sauls' model show in great clarity are those areas
13 that are flat and those areas that are dominated by
14 sagebrush canopy cover.

15 Are those good Sage Grouse habitat?
16 Absolutely. And if you were going to go out on the
17 landscape and look for Sage Grouse, would you start
18 there? Absolutely.

19 Are those the only places in the Piceance
20 that are used by Sage Grouse? Absolutely not.

21 What we have seen in the last six years in
22 the Piceance Basin is a much higher use of mountain
23 shrub communities than is represented in the
24 literature, especially the range-wide literature. A
25 much higher use, especially at the ecotone scale.

1 And as you're looking at a -- and this is
2 where sometimes higher resolution vegetation becomes
3 much more challenging because at a Grouse's
4 standpoint, those may be real differences if you're
5 looking at a vegetation map at a very fine scale.
6 To Grouse, those may not be represented.

7 And in a broader scale thing like the
8 basin-wide land cover, the CVCP land cover may not
9 even be represented as a difference. And they may
10 not represent a difference to Sage Grouse.

11 So we see a higher use of mountain shrub.
12 We see a higher use of slopes. We see a little bit
13 more tolerance of other vegetation types, oak brush
14 for instance, serviceberry for sure, aspen to some
15 extent, snowberry communities.

16 So we see the two things that the Garfield
17 map really represents very well, flat and sagebrush
18 dominated, are much less significant for Sage Grouse
19 in the Piceance than they are in Moffat County, in
20 the Wyoming Basin, and in southern Idaho.

21 So your contention that the Piceance is
22 different is, I think, correct. But the model still
23 represents a large component of data from somewhere
24 else that is giving you an artificially small and an
25 artificially ridge-top restricted look at what is

1 Sage Grouse habitat in the Piceance Basin.

2 CHAIRMAN MARTIN: Which brings up two
3 questions. Number one, the birds are adaptable to
4 just about any environment throughout. And the
5 other one is the encumbrances or the hazards to
6 these birds are mislabeled or, shall we say,
7 identified incorrectly.

8 Because what are the hazards to these
9 birds within this particular area if they can travel
10 great distances, they use tops, they use everything
11 else under the sun that we have in Garfield County,
12 what is the real danger of the extinction of these
13 birds if that is so true?

14 MR. PETCH: They don't use everything.
15 And I think that's an oversimplification of --

16 CHAIRMAN MARTIN: Well, the things that
17 you just described from timber to serviceberries to
18 all of the other things, and that they have been
19 able to adapt and travel great distances, what is
20 the real hazard of extinction if they have been able
21 to adapt to different environments?

22 MR. PETCH: They don't use it to the
23 extent they use sagebrush. And I want to be clear
24 about that.

25 They use it more frequently than they use

1 it in -- let's say, in the bottom picture up there,
2 if you had data from that place, the likelihood that
3 they use an area under serviceberry is zero because
4 there isn't any serviceberry.

5 In the Piceance, that's a different
6 scenario. And we see it in the Piceance, we see it
7 with Gunnison Sage Grouse on Pinon Mesa, we see it
8 with Gunnison Sage Grouse in the Dove Creek area.
9 They use the edges at least of habitats because they
10 are available to them there.

11 Does that mean that they can live in the
12 middle of an oak brush stand or a serviceberry
13 stand? Absolutely not. They're still a
14 sagebrush-dominated species.

15 So they do have limitations. And one of
16 the limitations, other than all the potentially
17 anthropogenic stuff going on out there, is that
18 habitat changes over time.

19 And those other vegetation types are more
20 prevalent than they were in the 1930s, '50s, '60s,
21 and Sage Grouse have suffered as a result. They are
22 concentrated more onto those sagebrush areas and
23 those bordering environmental types.

24 But at a scale where you neck that down to
25 a very small, very refined scale, I think the

1 opportunity to miss things that are used by Sage
2 Grouse, perhaps not a preference, but used by Sage
3 Grouse in the Piceance is very, very high.

4 And it gives you, both in the Sauls effort
5 in the PPR plan and I think for similar reasons in
6 the Garfield model, a pretty substantial
7 under-representation of where Grouse can be found
8 today in the Piceance Basin.

9 CHAIRMAN MARTIN: Yeah, and we're still
10 talking two different things. What is the hazard to
11 them from extinction then? Because they have been
12 able to adapt. They're different than Gunnison.

13 Gunnison Sage Grouse have adapted to their
14 environment. The Jackson County, they've adapted to
15 a different environment. Moffat County, they're a
16 totally different environment. They've adapted to
17 that or they're very at home at it.

18 They seem to be distributed throughout
19 this particular area based on yours. What is their
20 hazard of extinction?

21 MR. PETCH: In the Piceance it's actually,
22 I believe, quite high. The Piceance Basin of all
23 populations in Colorado -- and we have less perfect
24 lek data in the Piceance than anywhere.

25 For the same reasons that you guys didn't

1 do this trip around the Piceance in a vehicle,
2 that's the same reason we don't have very good lek
3 counts in the Piceance. It's difficult country to
4 get into.

5 But we have seen significant contractions
6 in population, in range in the Piceance, especially
7 at the northern end of the range, much of that in
8 Rio Blanco County. We have seen a significant
9 contraction of the sagebrush vegetation types that
10 are represented in your model in the last 30 years
11 as well.

12 MR. CAGNEY: And some of those contractions
13 occurred before the Oil and Gas.

14 MR. PETCH: Absolutely.

15 CHAIRMAN MARTIN: Well, yeah, but 70
16 percent of it is agricultural purposes and the
17 irrigation practices that kill sagebrush and that
18 has been again for existence of human use of the
19 land. That's private land and it also happens to be
20 70 plus percent of this habitat.

21 And going back to the goal, based upon
22 your mapping and your science, et cetera, 3 percent
23 of human disturbance within the prime habitat is the
24 desired effect. It's impossible when 70 percent of
25 it is already private land and developed.

1 MR. PETCH: But I'm not arguing for or
2 against the 3 percent limitation in the NTT report,
3 or for or against use of the 4-mile radius as an
4 NSO. Not arguing for or against that.

5 But as a description of whatever
6 management prescriptions we want to apply to the
7 landscape, of where those should be applied to
8 maintain Sage Grouse, I don't think the model that
9 you've currently proposed is sufficient.

10 MR. JARMAN: Chairman, I have four points,
11 if I could.

12 COMMISSIONER JANKOVSKY: Okay, then I have
13 some things.

14 CHAIRMAN MARTIN: We're running over.

15 COMMISSIONER JANKOVSKY: I want to state
16 that, you know, you talk about the Sauls report and
17 her mapping, but we also used Apa and Walker when we
18 did ours, and we looked at 2010 papers when we did
19 that. And those are all your guys, all three of
20 them are your guys.

21 MR. PETCH: Yes, they are.

22 COMMISSIONER JANKOVSKY: And the next
23 thing is, you know, this is fringe habitat. We are
24 on the southern edge, probably been fringe habitat
25 for as long as that population has been there. I

1 mean it's not good Sage Grouse habitat.

2 MR. PETCH: Certainly not like the bottom
3 photo.

4 COMMISSIONER JANKOVSKY: And these birds
5 have, as Commissioner Martin said, these birds have
6 adapted. And they're getting from one pocket to
7 another pocket primarily by flying. And you say
8 they may be walking to some of those pockets.

9 But right now this is the best available
10 science. It's not just the Sauls report that we're
11 using. We're using three of your guys to come up
12 with this mapping.

13 MR. PETCH: Right. And I do need to
14 respond to that a little bit, Commissioner
15 Jankovsky, that Dr. Ramey is correct that a
16 peer-reviewed system is not a perfect filter. But a
17 peer-reviewed system is a better filter than
18 incomplete progress reports.

19 And while I appreciate the use of the data
20 that is Piceance specific, that's valuable, and
21 certainly it does you all credit to look for that
22 most current data, each of those documents is a
23 preliminary interim progress report.

24 None of those documents have been
25 finalized. You know, none of that has been peer

1 reviewed, none of it's been completed. In many
2 cases the kinds of analysis that would give you the
3 answers you want for your model are not done either.

4 So, yes, I acknowledge that those are,
5 one, our people and, two, working in the Piceance.
6 But those are not completed works, any of the three
7 of them.

8 COMMISSIONER JANKOVSKY: But Walker is the
9 most reputable scientist right now in the Piceance.
10 And his work is at least verbally cited continually.

11 MR. PETCH: Certainly.

12 COMMISSIONER JANKOVSKY: When we go and
13 listen to information from Parks and Wildlife, we're
14 usually listening to Walker.

15 MR. PETCH: Certainly. But the map that
16 you've put on the table does not line up with the
17 state of Walker's current work.

18 CHAIRMAN MARTIN: All right, thank you.
19 Fred, four points, and then we need to move on.

20 MR. JARMAN: Okay. I'm going to defer one
21 to Dr. Ramey, but I'd like to start here very
22 quickly.

23 Along those lines just to reiterate, as
24 you can see, and what should be I think incredibly
25 alarming to the Fish and Wildlife Service, is the

1 fact that there isn't data that is available that
2 supports what you're saying.

3 And so that's a fundamental breakdown on a
4 number of federal levels. But here we're trying to
5 craft policy, as you are, as Jim is with the BLM,
6 craft policy, federal policy, broad-reaching policy,
7 based on unfounded science.

8 So this should be incredibly alarming for
9 anybody listening to this discussion. And I think
10 frankly it's a left-hand turn for the EIS.

11 But if there is data that you are willing
12 to let anybody else see in terms of transparency, we
13 really would like to see that data if you are
14 relying on it rather than opinion.

15 Because opinion only gets you so far,
16 unfortunately, when it comes to a listing action
17 because it has to be done on credible, literature-
18 based, peer-reviewed science and not some person's
19 field impression from one day to the next on where
20 Sage Grouse may or may not be. So that's how
21 important all of this is.

22 I have a question for Jim Cagney on this
23 very issue of the map. We've spent, and I'll try to
24 be very careful here, and you tell me where I go off
25 the rails, but in the cooperating agency meetings we

1 are a cooperating agency, we have that status as
2 many others do in this room. We spent probably the
3 better part of the last year walking through policy.

4 My question is, and I know the answer to
5 this question, but my question is: How many of
6 those meetings were dedicated to the evaluation of
7 the map?

8 MR. CAGNEY: None.

9 MR. JARMAN: Okay, thank you. Secondly,
10 are you going to include the Garfield County plan as
11 an alternative in the EIS?

12 CHAIRMAN MARTIN: That's not putting you
13 on the spot, is it?

14 MR. CAGNEY: I had a couple of points I'd
15 like to make. Is there any way we can do that?

16 CHAIRMAN MARTIN: Sure, Jim. This is an
17 open dialogue. We're not trying to single you out
18 or beat anybody up. We're just expressing points of
19 view.

20 MR. CAGNEY: If we could finish that and
21 then I could make a couple of points in synchrony
22 here, then I'd be happy to finish with the answer to
23 that. That's a pretty loaded question.

24 CHAIRMAN MARTIN: Okay, thank you. Any
25 other points that you wish to bring out, Doctor,

1 Zack?

2 MR. PERDUE: I'd like to just some things
3 about the mapping real quickly. And, number one, I
4 think there's a misunderstanding of the coarsity of
5 the data that we did.

6 Brad was referencing the fine scale of the
7 2-meter data. But the data wasn't supplied to the
8 model at a 2-meter resolution. The data was
9 classified at a 2-meter resolution which means
10 something entirely different.

11 The reason that we classified at the
12 2-meter level were to, number one, achieve high
13 horizontal delineations in terms of precision,
14 particularly for the forested and woody shrubland
15 areas.

16 But secondary to that was we wanted to see
17 the mix of species that were occurring in these
18 broader communities. So ultimately the data got
19 boiled back out.

20 Once it was classified, we then aggregated
21 the data to turn it into polygons, and we enforced a
22 minimum mapping unit of a half acre. So there's no
23 polygons in there representing vegetation
24 communities that exist on the ground that are
25 smaller than half an acre.

1 In addition, with respect to the
2 transition zones, that was something that we were
3 getting active feedback from in discussions and
4 e-mails with some of the CPW and BLM staff was that
5 there was a recognition that some of these perimeter
6 areas are being utilized by the Grouse.

7 And so that's one of the inherent
8 limitations to the publicly available data sources
9 is that they're very discrete and they're very
10 coarse.

11 And as such, for CVCP, for example, we've
12 got a 25-meter, square meter, that represents one
13 area. And that stops with a hard edge, you know, at
14 the transition, wherever that delineation occurs.

15 One of the things that we were able to do
16 with our data in the fact that we classified it at
17 the 2 meter was we were able to sample and
18 subsequently delineate these transition zones by
19 finding areas that had a certain measure of PJ,
20 Gambel oak, the various woody shrublands
21 encroachment into these areas.

22 And so what we did was we tried to carve
23 out and assess areas where we've got an upper
24 threshold of 20 percent encroachment of these woody
25 shrublands moving into sagebrush and grassland

1 habitat.

2 Which the entire intent of that was to
3 address specifically what we were just discussing a
4 moment ago, which was the recent observation of
5 occupying these fringe habitats around the higher
6 quality of sage communities.

7 But, in addition, that was also why we
8 employed the fuzzy model logic. As you can see,
9 that returned the largest results in terms of area
10 which is expected.

11 Basically what it does is it starts to
12 take the results and push it out, make it more
13 contiguous, and so on and so forth.

14 MR. JARMAN: All right, thanks, Zack.

15 CHAIRMAN MARTIN: Doctor, you had one more
16 comment?

17 DR. RAMEY: A couple of more comments.
18 Briefly, this progress report, this habitat mapping
19 exercise is reproducible. However, a number of the
20 opinions you just stated are not.

21 And where are the data that these opinions
22 are based upon? Those have been requested
23 repeatedly by the County.

24 I think that the BLM is in a box. I think
25 the County is in revision with its plans. Neither

1 of those can really wait for your publications to
2 come out years later.

3 And, most importantly, the Sage Grouse
4 can't wait for you to get around to publication of
5 that before you release any of the data. So we
6 respectfully request that those data requests be
7 followed through with.

8 Additionally, another point. Peer review
9 is not all it is cracked up to be. Some of the
10 major landmark papers published in physics are
11 published in arXiv, which is an open source journal
12 for which comments come in and revisions are
13 produced. It's a different model. It's considered
14 to be some of the finest science in the field.

15 So this reliance on that you'll only
16 decide based on peer-reviewed information, as we've
17 all admitted and discussed here is frequently flawed
18 or can be flawed, is I think a dated opinion.

19 But, finally, and I think probably most
20 importantly, our best guess for determining occupied
21 range map, as you said, the hypothetical models and
22 such, those are not based on data. And those end up
23 capturing large areas of non-habitat.

24 And that was one of the key points in this
25 mapping exercise is to determine the priority areas

1 for the birds. And, most importantly, the courts do
2 not agree with opinion-based information.

3 Judicial deference is not afforded to
4 arbitrary, capricious agency actions or scientific
5 information. And that's what opinion and hearsay
6 are.

7 And that's been repeated in Aqua Caliente
8 versus Scarlett, on the Peninsula Range as critical
9 habitat. It was remanded for rule-making based on
10 these same arguments we're discussing today at 47
11 percent reduction. Similar, the Cactus Pigmy for
12 Critical Habitat was remanded and eliminated on the
13 basis of it was on guesswork.

14 So the courts do not agree with that
15 viewpoint. And I, as a scientist, don't.

16 CHAIRMAN MARTIN: Okay, now, we're still
17 all friends here. Relax. Take a deep breath.

18 Jim, you have the floor and the final on
19 this particular level of discussion.

20 MR. CAGNEY: Thank you, Mr. Chairman, both
21 for giving me the floor and that good advice to
22 relax.

23 CHAIRMAN MARTIN: Listen, an old
24 rock-and-roller should be able to relax at any place
25 and in any setting. Go for it, man.

1 MR. CAGNEY: I told you, I can't even play
2 guitar anymore. I got too much Sage-Grouse jelly in
3 my head.

4 So, first of all, I mean it's plain to see
5 why Garfield County is unhappy with this. Everyone's
6 unhappy with this. I'm still waiting for the first
7 person to tell me. Golly, I really appreciate the
8 way this Sage Grouse thing is going down, you know.
9 The next person that tells me that will be the
10 first.

11 Okay, so, you know, the idea that you guys
12 are doing something tangible instead of just being
13 unhappy, I say good on you.

14 But I want to talk about my assignment in
15 relation to some of the things that I've heard
16 today.

17 A lot of the issues, like the threat is
18 overstated and the public policy type of issue here
19 with regard to whether Sage Grouse really are
20 adaptive or whether they really need to be
21 endangered on that, I'm going to tell you what my
22 exact assignment is.

23 My assignment is to revise the five land
24 use plans in the northwest Colorado, analyze the NTT
25 alternative as one of the alternatives, and to do so

1 on a timeline that will be completed in time to
2 inform the court-ordered listing decision.

3 Okay, so if you're successful in those
4 types of arguments about, you know, whether or not
5 this process should be done that way, again good on
6 you.

7 And I just want to make it clear that if I
8 don't respond to that, it's not because I'm ignoring
9 you. It's because that's not my assignment.

10 And my intention is to play out my
11 assignment as it's been given to me. So that's a
12 key point.

13 One thing that -- I'm going to move on to
14 my next point is that we are not infringing on
15 private property rights in any way. The Bureau of
16 Land Management is doing a round of land use
17 planning for public lands.

18 I'm aware that the NTT caps relate to all
19 lands. Private landowners are perfectly able to do
20 whatever they want on their private lands, and then
21 the BLM will be obligated to adapt what we authorize
22 to meet those caps.

23 So under no circumstances are we
24 attempting to tell any private landowners what they
25 can or cannot do on their private lands. Okay?

1 I want to talk for a second about
2 something that I think is very important. There's a
3 disconnect between the decision-making authority,
4 you know, and the responsibility for winning
5 appeals.

6 And, you know, I like to communicate with
7 the locals for a couple different reasons. You
8 know, they tend to know the most. It's just good
9 policy.

10 But I'm talking about this whole
11 cooperating coordinating issue, and I'm going to
12 read something: We are recognizing that each agency
13 has its own planning process and federal agencies
14 are required not only to consider the County's
15 policies but work to resolve conflicts and federal
16 plans consistent with the County's policies. And
17 then it's 43 U.S.C. 17.12.

18 And I'm all for that. I want to do that.
19 But something that needs to be made, and this is
20 really critical, is what's not quoted from that same
21 passage is it's to the extent consistent with the
22 laws governing the administration of the public
23 lands.

24 So I'm not authorized to blow this process
25 and lose an Endangered Species Act appeal on the

1 basis of the Coordination process. Now if we can
2 work together and get something put together that
3 eliminates that possibility, that's great. But I
4 have to win these appeals or break my pick trying.

5 One of the issues from NEPA, and this is
6 why I was hesitant to answer your question straight
7 up, Fred, is that you asked a different question
8 than what was written in the document.

9 Okay, the question that you wrote in the
10 document is we request that this be included as the
11 preferred alternative for the Garfield County
12 portion of the EIS.

13 And if I said yes or no to that right now,
14 that would be a NEPA violation. Because I'm not
15 authorized to make managerial decisions independent
16 of the NEPA analysis.

17 And, you know, no better case law on that
18 is more than the judge ruling that the Bush
19 Administration overrode the Fish and Wildlife
20 Service's non-listing rule and put this whole thing
21 in motion.

22 Just on the whole question of winning
23 appeals, one of the appeals that we'll certainly
24 get -- and these appeals are going to be vicious. I
25 used to be the field manager in Lander, Wyoming, and

1 I just released that document that I worked so hard
2 on when I still lived back there.

3 And it's like there was this giant backlog
4 of hostility to Governor Freudenthal's plan that
5 they were just waiting for the first document to say
6 that the Wyoming approach is so woefully inadequate,
7 you know. And the Governor's approach is pretty
8 restrictive compared to what just got laid out in
9 the Garfield County approach.

10 So we have to anticipate some vivid
11 appeals on that subject. And one of them will be
12 that Garfield County is the southern fringe of that
13 habitat.

14 And, you know, plan on an assumption that
15 this will be depicted as the most important piece of
16 the whole thing. Someone will make that point. I
17 mean I don't want to lead someone to that point in
18 this proceeding, but it's just guaranteed.

19 The big issue here is the habitat
20 fragmentation issue, the habitat connectivity issue.
21 I don't want to represent myself as a Grouse
22 biologist, especially when there's people that
23 really are Grouse biologists in this room.

24 But I've been around this piece of ground
25 for 35 years now. And I've seen Sage Grouse in

1 places that wouldn't meet the Garfield County map
2 model over and over again. So that's an issue, is
3 that habitat has got to be connected.

4 So in terms of will I include that in the
5 decision, I mean I certainly have to recognize it.
6 It's a NEPA requirement to do so. But I got some
7 concerns, and I'm going to have to deal with them.

8 CHAIRMAN MARTIN: You followed all the
9 guidelines laid out by NEPA as well as your
10 department policy. You did a good job, Jim.

11 MR. CAGNEY: This is my job, John.

12 CHAIRMAN MARTIN: I know it is. I know it
13 is.

14 MR. CAGNEY: I will get smacked sharply if
15 I'm not.

16 CHAIRMAN MARTIN: I know it is, and we'll
17 talk over a beer. But, anyway, thank you for that.

18 Now, Margaret, you had another comment?
19 Okay, but we have one more subject, and that's going
20 to be the NEPA process.

21 MS. BYFIELD: Okay, I'll wait, I'll wait.

22 CHAIRMAN MARTIN: Okay. We have about 11
23 minutes to do that.

24 COMMISSIONER JANKOVSKY: I would just like
25 to respond a little bit to Jim. You know, with our

1 plan with our habitat, we are at NSO in priority
2 habitat because the habitat is, you know --

3 So we're not at a one percent cap or 3
4 percent cap. We're at NSO, and there's still room
5 in there to move a little bit, but we are in
6 priority habitat and at NSO. So we are more
7 restrictive in our plan than what NTT is or what the
8 PPR was.

9 And again it all goes back to the mapping.
10 But I just wanted to bring that up.

11 MS. BYFIELD: Okay, so we start talking
12 about NEPA?

13 CHAIRMAN MARTIN: We wanted to talk about
14 the NEPA process.

15 MS. BYFIELD: Mr. Cagney, who is going to
16 make the decision on what alternatives are selected,
17 are included in the draft? Who makes that decision?

18 MR. CAGNEY: I think from a technical
19 perspective, the precise decision-making authority
20 lays with the State Director. Is that true, Erin,
21 the State Director has got that? The State Director
22 has got that.

23 I mean I would like to point out, though,
24 if we do a magnificent job of putting this together,
25 we can make that decision because the State Director

1 will approve it. But if we put something on the
2 table that is inadequate, then we don't get to make
3 that decision.

4 MS. BYFIELD: Can I go ahead and just read
5 from your planning rules? These are your BLM
6 planning rules.

7 It says: At the direction of the field
8 manager in collaboration with cooperative agencies,
9 BLM will consider all reasonable resource management
10 alternatives and develop several complete
11 alternatives for detailed study.

12 Now as I've read these, you make the
13 decision on the alternatives. The State Director
14 selects the preferred.

15 MR. CAGNEY: Uh-huh.

16 MS. BYFIELD: So you will be making the
17 decision on what alternatives go in?

18 MR. CAGNEY: Fair enough.

19 MS. BYFIELD: The question in the letter
20 that was directed to you was the request of the
21 Board that this plan be the preferred alternative in
22 this area because we believe it's based on the best
23 science and it's the best policies that fit this
24 area.

25 And I understand how you can't come out

1 and say what's going to be a preferred alternative
2 because that's a completely different question. Are
3 you precluded from saying whether or not it's going
4 to be included as an alternative?

5 MR. CAGNEY: No.

6 MS. BYFIELD: Okay. So the question then
7 is: Will this be included as an alternative when
8 the draft comes out?

9 MR. CAGNEY: We will certainly acknowledge
10 that this alternative exists and take a hard look at
11 it.

12 MS. BYFIELD: Is it going to have a
13 side-by-side comparison with the other alternatives
14 and rigorously explored, rigorously analyzed?

15 MR. CAGNEY: I don't know.

16 MS. BYFIELD: When are you going to make
17 that decision?

18 MR. CAGNEY: I don't know.

19 MS. BYFIELD: When are you expecting the
20 draft to come out?

21 MR. CAGNEY: July.

22 MS. BYFIELD: Is the draft now in review
23 with other agencies and counties?

24 MR. CAGNEY: Cooperating agencies?

25 MS. BYFIELD: Yes.

1 MR. CAGNEY: Yes.

2 MS. BYFIELD: Okay, so already really
3 comments are being taken internally, I understand,
4 internally on the draft, but nobody has the
5 opportunity to lay this plan side by side with it to
6 see how that compares.

7 I mean and I'll just back up, really the
8 -- as I'm sure you know, the alternative section of
9 NEPA of an EIS is the heart of the section.

10 And the whole purpose for having
11 reasonable alternatives and making sure all of the
12 different perspectives is included is so that the
13 public and decision-makers have the opportunity to
14 look at all of the options side by side for the
15 ultimate goal of making the best decision.

16 And when one viewpoint is precluded from
17 that, that should be considered, that's very
18 damaging to the outcome of the actual process.

19 MR. CAGNEY: Let me answer this line of
20 questioning this way. I have done what I think is a
21 very professional, very fair job of organizing these
22 alternatives in conjunction with the cooperating
23 agencies. And I'm not going to apologize for the
24 process I've run.

25 MS. BYFIELD: Well, I'm not asking you to

1 do that. And I'm not questioning your
2 professionalism. You know, in my book that's not
3 even an issue.

4 The issue is whether or not what Garfield
5 County knows has to happen here for the sake of
6 these Sage Grouse persisting and improving and being
7 here till the end of time, whether or not that is
8 going to be considered in the whole EIS process as
9 an alternative.

10 MR. CAGNEY: Which is a question I've
11 answered.

12 MS. BYFIELD: Which is at this point you
13 really don't know?

14 MR. CAGNEY: Right. You know, anyone
15 familiar with the Roan Plateau case law is very
16 familiar with my requirement to consider
17 alternatives. And I will abide by that.

18 MS. BYFIELD: Would it be instructive for
19 us to actually communicate with the State Director
20 and impress on her this request? Would that help
21 you in the decision?

22 MR. CAGNEY: I would invite you to do
23 anything that you think is wise along those lines.

24 CHAIRMAN MARTIN: But still following the
25 NEPA process and the EIS process. Okay.

1 Other questions on the NEPA process?

2 COMMISSIONER JANKOVSKY: I just have some
3 questions on -- you know, we have requests out to
4 CPW for data. We've gone through CORA on those, and
5 we'd like to have that information.

6 The same thing with Fish and Wildlife
7 Service, we'd like to get Garton, et al, all that
8 information as well just because it is referred to
9 so many times. And we can't get our hands on it in
10 the NTT report.

11 CHAIRMAN MARTIN: I think you've received
12 your answer, that it's a work in progress, that
13 they're not going to jeopardize that particular
14 issue.

15 COMMISSIONER JANKOVSKY: Yeah, but I don't
16 know that Garton is a work in progress.

17 Then just the peer reviews, internal and
18 external peer reviews from the Department of
19 Interior on Sage Grouse, I mean do we have to do a
20 FOIA request to get that information, or how do we
21 go about that?

22 MS. GELATT: Rob, have you had problems
23 getting information from us?

24 DR. RAMEY: Well, I've gone directly to
25 Garton, as I've said, to try and get the data. And

1 so I think the question here is: Can the Service
2 aid the County in obtaining the underlying data used
3 in the analysis by Garton, et al, both the final
4 raw data that is used and also the input data that
5 was culled to produce the final data set?

6 And then the peer review issue is a very
7 interesting one. And we discussed this amongst the
8 group how best to get -- to evaluate for ourselves,
9 for the public, the adequacy of peer review on that
10 landmark study.

11 And so since that study was funded by the
12 Department of Interior and since the publication was
13 edited by a member of the Department of Interior,
14 Steven Kinek, as well as many other of the
15 publications in the Sage Grouse monograph.

16 And I understand that the agency, and the
17 USGS, in particular, has their own internal peer
18 review process before papers go out written by
19 members, by agency staff, we discussed the need to
20 have the peer reviews to be able to look for
21 ourselves at the adequacy of the peer review.

22 And then also to ask for the peer reviews
23 by The Journal Studies of Avian Biology. And we're
24 not sure whether three of those peer reviews that
25 were commissioned by the Division of Wildlife were

1 all the peer reviews, and we need to know that.

2 Peer review is sometimes kept secret.
3 Some journals actually publish them, or at least
4 acknowledge the names. I often sign my name to my
5 peer reviews. So this should be public information
6 since it is such a highly influential scientific
7 study.

8 So that's the request, peer reviews, data.

9 MS. GELATT: So if you want to send me an
10 e-mail of that request, I can look into it farther.

11 DR. RAMEY: I'll let the County do it.

12 CHAIRMAN MARTIN: We'll run that through
13 our process so that we have the direct control of
14 that particular issue, being cooperating agency
15 status in that respect. So we can rely upon that
16 agreement, right, David? Thank you.

17 Do we have anything else? We have one
18 minute.

19 MR. JARMAN: We've got one minute, okay,
20 I'll have to speak very quickly.

21 This is really for Jim on the NEPA
22 process, but really more through Coordination, but
23 it is supported by NEPA, and that is to resolve
24 inconsistencies.

25 So we have the Garfield County plan now

1 adopted and we walked through just some of those
2 inconsistencies with what is at the very least on
3 the NTT report which may be considered as an
4 alternative and the forthcoming EIS.

5 So the question that we really have for
6 you is: How do you intend to follow NEPA and then
7 help us understand and pick apart and come to
8 resolve on inconsistencies between our plan and the
9 EIS?

10 MR. CAGNEY: I don't know the answer to
11 that. I would agree that that needs to be done.

12 MR. JARMAN: Would you be willing to work
13 with us to do that?

14 MR. CAGNEY: Sure, absolutely.

15 CHAIRMAN MARTIN: Between now and the
16 final product, but not after the final product.

17 MR. JARMAN: Well, in the draft is really
18 the issue at play here. So that's really the
19 question is: Can we work together on this following
20 NEPA to be able to have that discussion as it's
21 reflected in the draft?

22 CHAIRMAN MARTIN: There is a hard
23 timeline, isn't there, Jim, in reference to when you
24 have to have that in?

25 MR. CAGNEY: I got a question for you,

1 though. I mean there's a very, very delicate issue
2 there in terms of my inability to disclose
3 predecisional information.

4 So are you talking about in a cooperating
5 agency process or are you talking about in public
6 hearings? Because that really matters what we can
7 say and what we can do regarding the range of the
8 alternatives that we already had on the table.

9 MR. JARMAN: I don't think, other than
10 NTT, we can't do it through Coordination. It would
11 have to be predecisional.

12 MR. CAGNEY: Well, then I'm precluding
13 from addressing some of the things that we've worked
14 out through the cooperating agency process that I
15 think deals with some of these issues.

16 MR. JARMAN: That's a really good point,
17 Jim. So I think there are ways to do that simply
18 between Garfield County and the BLM in a cooperating
19 agency type meeting, to protect that issue that you
20 rightly bring up.

21 CHAIRMAN MARTIN: We don't want to violate
22 that.

23 MR. JARMAN: Yeah, absolutely.

24 CHAIRMAN MARTIN: We want to be able to
25 work those out through the process as set out again

1 by cooperating agency status. But we still have to
2 answer certain questions to our general public in
3 public meetings.

4 So we'll have a fine line to walk, but we
5 will do so. And I wish we had the ability, as some
6 departments, to not answer certain questions. But
7 we have to expose our entire souls in public
8 meetings and still stand the scrutiny in the
9 newspapers when we don't.

10 So you guys got a little better situation
11 than local government does. We're under a lot more
12 scrutiny.

13 MR. CAGNEY: I mean just for conversation
14 sake, I feel comfortable suggesting that when we
15 talk about the full range of alternatives, this
16 document is within that range because the
17 Alternative A, which is already public knowledge, is
18 simply the old land use plans that relate to
19 Garfield County.

20 And I think we would be completely safe in
21 arguing that this is between this, those old plans
22 and the NTT, with one giant exception to that, and
23 that, of course, is the map. We would be
24 introducing a new map at this stage of the process.

25 CHAIRMAN MARTIN: We'd better have a good

1 foundation on one and be able to go ahead and
2 produce that or reproduce it, et cetera, following
3 the same process. And would expect again your map
4 and the discrepancies we find and how you would be
5 able to defend that particular map in the
6 discussions.

7 MR. CAGNEY: Right. And Garfield County
8 understands my concern that by abandoning our
9 longstanding process of working with Game and Fish
10 Agencies, we leap into a void that will just kill
11 us.

12 CHAIRMAN MARTIN: And, Jim, we're not
13 asking you to do that. All we're doing is saying we
14 need to see the scrutiny of how it was put together
15 and believe in the process as well as believe in our
16 process and convey that both to the Division of
17 Wildlife and you so that we can go ahead and make
18 sound policy judgments on the information that we
19 can reproduce.

20 That's where we're coming from. So that's
21 what we would support.

22 Gentlemen, we're four minutes beyond. Is
23 there anything, Wildlife, David, Jim, anything else,
24 Brad? Anybody out there? Moffat County, Rio Blanco
25 County, you're all cooperating agency statuses.

1 Then our team, the last comment.

2 MS. BYFIELD: Well, I was just going to
3 make sure, we didn't allow you a chance to even
4 comment, talk. I didn't know if you had any
5 statements or anything that you wanted to share.

6 MS. GELATT: I appreciate the invitation.
7 Today lots of information was provided. I just
8 received the report on Monday so our biologists
9 haven't had an opportunity to review it. But thank
10 you.

11 CHAIRMAN MARTIN: All right. Staying
12 within those parameters, I think that we're
13 completed then. We'll try and work out and we'll
14 have coordination and communication going back and
15 forth, Jim. Thank you.

16 COMMISSIONER JANKOVSKY: I'd like to thank
17 everybody for being here. Thank you for your time
18 and working with us. Thank you.

19 CHAIRMAN MARTIN: Thank you very much.
20 And everybody got a full package of information from
21 Garfield County to try and digest.

22 (The hearing was concluded.)

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

STATE OF COLORADO)
) ss.
COUNTY OF ADAMS)

I, Geneva T. Hansen, do hereby certify that I am a Professional Shorthand Reporter and Notary Public within the State of Colorado.

I further certify that the foregoing transcript constitutes a true and correct transcript to the best of my ability to hear and understand the audio recording.

I further certify that I am not related to, employed by, nor of counsel for any of the parties or attorneys herein, nor otherwise interested in the result of the within action.

IN WITNESS WHEREOF, I have affixed my signature and seal this 16th day of May, 2013.

My commission expires 11-18-15.

Geneva T. Hansen